

## VOLUME 4, PAGES 640-858

COMMONWEALTH OF MASSACHUSETTS

DEPARTMENT OF PUBLIC UTILITIES

DPU 09-01-A

CONTINUED PUBLIC EVIDENTIARY HEARING,  
held at the Department of Public Utilities, One  
South Station, Boston, Massachusetts, on Thursday,  
May 14, 2009, commencing at 10:04 a.m., concerning:

## FITCHBURG GAS AND ELECTRIC LIGHT COMPANY

SITTING: Laura Koepnick, Hearing Officer  
Joan Foster Evans, Hearing Officer  
Barry Perlmutter, Director, Electric  
Power Division  
Ghebre Daniel, Assistant Director,  
Electric Power Division  
Paul Osborne, Assistant Director, Rates  
and Revenue Requirements Division  
Shashi Parekh, Analyst  
Donald Nelson, Analyst  
Joselyn Day, Assistant Director,  
Consumer Division  
Thomas Carey, Analyst

-----Reporter: Alan H. Brock, RDR, CRR-----  
Farmer Arsenault Brock LLC  
50 Congress Street, Boston, Massachusetts 02109  
617.728.4404

## 1 APPEARANCES:

2 Dewey & LeBoeuf LLP  
3 Scott J. Mueller, Esq.  
4 Meabh Purcell, Esq.  
5 Robert G. Goulet, Jr., Esq.  
6 260 Franklin Street  
7 Boston, Massachusetts 02110-3173  
8 617.748.6843 fax: 617.897.9043  
9 smueller@dl.com  
10 mpurcell@dl.com  
11 rgoulet@dl.com  
12 for Fitchburg Gas and Electric Light Company

13 Gary Epler, Esq.  
14 Unitil Service Corporation  
15 6 Liberty Lane West  
16 Hampton, New Hampshire 03842  
17 603.773.6440 fax: 603.773.6605  
18 epler@unitil.com  
19 for Fitchburg Gas and Electric Light Company

20 Office of the Attorney General  
21 James Stetson, Esq.  
22 Tackey Chan, Esq.  
23 Assistant Attorneys General  
24 One Ashburton Place  
Boston, Massachusetts 02108  
james.stetson@state.ma.us  
tackey.chan@state.ma.us  
617.727.2200 fax: 617.727.1047

1 May 14, 2009 10:04 a.m.

2 P R O C E E D I N G S

3 MS. EVANS: Good morning. This is day  
4 four of the evidentiary hearings in the matter  
5 captioned DPU 09-01-A, investigation by the  
6 Department of Public Utilities on its own motion  
7 into the preparation and response of Fitchburg Gas  
8 and Electric Light Company, d/b/a Unitil,  
9 hereinafter "Unitil" or "company," to the December  
10 12th, 2008 winter storm, pursuant to General Laws  
11 Chapter 164, Sections 76 and 1E.

12 My name is Joan Foster Evans, and I am  
13 one of the hearing officers assigned to this matter  
14 by the Commission. Also on the bench with me is  
15 Laura Koepnick, also a hearing officer on this  
16 matter. To my right are Barry Perlmutter, Ghebre  
17 Daniel, Don Nelson, and Shashi Parekh, from the  
18 Electric Power Division of the Department.

19 At this point in time, would counsel  
20 identify themselves for the record, please.

21 MR. MUELLER: On behalf of Fitchburg Gas  
22 and Electric Light Company, doing business as  
23 Unitil, my name is Scott Mueller. With me today is  
24 Meabh Purcell. We're both with the law firm of

1 Dewey & LeBoeuf. Also appearing is Gary Epler,  
2 chief regulatory counsel for Unitil.

3 MR. STETSON: On behalf of the Attorney  
4 General, Martha Coakley, my name is James W.  
5 Stetson. With me today is Tackey Chan, Assistant  
6 Attorney General, and Joan Foster Evans Plett, our  
7 utility analyst. Sandra Callahan Merrick will not  
8 be here today, but if we go tomorrow, she'll be here  
9 tomorrow, as will the rest of us.

10 MS. EVANS: Thank you. At this point in  
11 time the Department would like to continue their  
12 cross-examination of the panel of company witnesses.  
13 Is the company ready for cross-examination?

14 MS. PURCELL: Yes, we are.

15 MS. EVANS: Would you please identify  
16 the panel for us for the record.

17 DIRECT EXAMINATION

18 BY MS. PURCELL:

19 Q. Would you all please give your name and  
20 your title.

21 A. [FRANCAZIO] Rich Francazio, director of  
22 emergency management and compliance at Unitil.

23 A. [LETOURNEAU] Raymond Letourneau, Jr.,  
24 director of electrical operations for Unitil.

1           A.    [MEISSNER] Thomas Meissner, Jr., senior  
2 vice-president and chief operating officer.

3           A.    [GANTZ] Gorge Gantz, senior vice-  
4 president for customer services and communications.

5           A.    [LAMBERT] Mark Lambert, director of  
6 customer services for Unitil.

7                   THOMAS P. MEISSNER, JR., GEORGE R.  
8                   GANTZ, MARK LAMBERT, RAYMOND LETOURNEAU,  
9                   and RICHARD FRANCAZIO, Sworn

10           MS. EVANS: Thank you, gentlemen. I'd  
11 like to remind you all that you are under oath at  
12 this point in time. We can start with Department  
13 cross-examination. Thank you.

14                   BENCH EXAMINATION

15           BY MR. PERLMUTTER:

16           Q.    Good morning, everyone.

17           A.    [MEISSNER] Good morning.

18           A.    [GANTZ] Good morning.

19           Q.    Today's cross-examination is going to focus  
20 on the days of the storm, trying to get a sense of  
21 on a daily basis what happened, what activities the  
22 company's personnel were undertaking, what the  
23 company knew on each day. I think to serve as a  
24 good backdrop, it would be helpful if you could

1 provide for the Department, and maybe me in  
2 particular, a topology of the company's transmission  
3 and distribution wires. I say this because, as we  
4 ask questions about damage assessment and  
5 restoration, I think it will be helpful for us to  
6 understand where on the system you were.

7 So maybe I'll ask you first to just  
8 describe it. My understanding is that National Grid  
9 brings transmission wires into Flag Pond substation.  
10 Maybe if you could tell us on the other side of Flag  
11 Pond substation how the electricity flows into the  
12 service territory, throughout the service territory.  
13 We'll ask questions as you go to make sure we have  
14 as complete an understanding as we need for the  
15 types of questions we'll be asking.

16 A. [MEISSNER] The Unitil system is served by  
17 technically four 115 lines coming in from National  
18 Grid. It might be described as two lines, because  
19 each line had a north and a south, so there are four  
20 distinct lines. But it's like the south line and  
21 then north line and then the south line and then the  
22 north line.

23 Those four lines come into a ring bus at  
24 Flag Pond, which is really just a breaker

1 arrangement that assures that if you lose any one of  
2 those lines it doesn't affect service to the rest of  
3 the substation.

4           Within the substation there's two  
5 transformers that bring the voltage from 115,000  
6 volts down to 69,000 volts. Those transformers are  
7 fully redundant, meaning you can lose any one  
8 transformer, either transformer, and it does not  
9 affect service within the system.

10           Within the system there are then three  
11 69,000-volt lines that feed out from Flag Pond. One  
12 of those lines feeds, you know, independently a  
13 number of substations within the system -- River  
14 Street, Princeton Road; there may be others.

15           Two of the lines feed parallel to  
16 another substation, essentially in the center of the  
17 system. Those two lines are called the 01 and 02  
18 lines. They feed Summer Street. And again, those  
19 lines are redundant. If either one of those lines  
20 is in service, then we can have power to Summer  
21 Street and other parts of the system.

22           Then from Summer Street there's another  
23 two lines that feed out in a loop through Townsend,  
24 west Townsend, Ashby areas. Pretty much all parts

1 of the system are redundant, so that there's always  
2 a loop pathway or a parallel line going to each of  
3 the locations in our system.

4 Those lines then feed all the  
5 distribution substations in the system. The  
6 majority of those substations step the voltage down  
7 from 69,000 volts to 13,8 kV. There are some  
8 substations that also go down to 4 kV.

9 Q. To make sure I understand: The companies  
10 has testified that in prioritizing restoration it  
11 first focused on its primary lines. Is that  
12 accurate to say?

13 A. [MEISSNER] More accurate would be to say  
14 we first focused on our transmission system.

15 Q. The transmission system. And those are the  
16 three 69-kV lines coming out of Flag Pond?

17 A. [MEISSNER] Those, and then in addition the  
18 other lines that I talked about that feed out  
19 through Townsend, West Townsend and other areas.  
20 But certainly we started at Flag Pond.

21 Q. As we walk through the company's damage  
22 assessment and restoration, we might return to this,  
23 just to make sure we understand where you're at.

24 A. [MEISSNER] Yes.



1           Q.    What I'd like to do, I'd like to start with  
2 the morning of December 12th, which is Friday;  
3 correct?

4           A.    [LAMBERT]   Correct.

5           A.    [LETOURNEAU]   Yes.

6           Q.    I know on the record -- I think it was in  
7 response to a Department information request -- the  
8 company stated it sort of had two shifts, one from  
9 7:00 a.m. to 11:00 p.m. and another from 3:00 p.m.  
10 to 7:00 a.m. is that accurate?

11          A.    [MEISSNER]   There was always two shifts.  
12 Realistically, I think there was a lot of overlap  
13 between the shifts. So during that time -- there  
14 was probably periods of time where there was eight  
15 hours or more of overlap.

16          Q.    I'm going to sort of refer to the day and  
17 the night, because I have a feeling that that will  
18 serve our purposes well.

19          A.    [MEISSNER]   Yes.

20          Q.    So if we start on the morning of  
21 February -- December 12th; the storm occurred the  
22 night before, at approximately 8:00 p.m. The  
23 emergency operations center was open; is that  
24 correct?

1 A. [MEISSNER] Yes.

2 Q. And the restoration coordinator for the  
3 Fitchburg service territory was Mr. Frappier?

4 A. [MEISSNER] Correct.

5 Q. And the communications coordinator was Ms.  
6 Vanhillo?

7 A. [MEISSNER] That's correct.

8 Q. And the logistics coordinator was  
9 Mr. Golden?

10 A. [MEISSNER] Correct.

11 Q. I think the company testified there was no  
12 one specifically serving the functions of the  
13 municipal field coordinator, but instead those  
14 functions were being undertaken by the  
15 communications coordinator?

16 A. [LETOURNEAU] Correct.

17 A. [MEISSNER] Correct.

18 Q. So that would be true on the morning of  
19 December 12th.

20 A. [LETOURNEAU] Correct.

21 Q. And were all three of these people in the  
22 Fitchburg EOC?

23 A. [LETOURNEAU] Yes.

24 Q. And Mr. Letourneau, you were acting as the

1 emergency restoration manager.

2 A. [LETOURNEAU] Correct.

3 Q. Coordinating the efforts of the three  
4 service territories?

5 A. [LETOURNEAU] Yes.

6 Q. Let's just say at 7:00 o'clock, just to  
7 pick a time, had the company performed any damage  
8 assessment yet on the Fitchburg system?

9 A. [MEISSNER] Well, damage assessment would  
10 have started with daylight. So damage assessment  
11 would not have been happening during the nighttime  
12 hours.

13 Q. So not yet because you were awaiting  
14 daylight to begin that process.

15 A. [MEISSNER] Correct.

16 Q. Had the company responded to any wires-down  
17 calls?

18 A. [MEISSNER] I can't answer that specific  
19 question. We'd have to confer with the gentlemen  
20 who were involved.

21 (Pause.)

22 A. [LETOURNEAU] Yes, we have.

23 Q. Would you characterize, were you inundated  
24 with wires-down calls during the night of the 11th

1 and the 12th, or was it just one or two? And I want  
2 to emphasize, I just want to get a sense of how this  
3 thing rolled out.

4 A. [LETOURNEAU] Yes, it was not one or two;  
5 it was many wire-down calls.

6 MS. EVANS: Can you indicate for the  
7 record so it's clear on the record who you are  
8 referring to -- or speaking with to get your  
9 answers?

10 A. [LETOURNEAU] Mr. Mark Frappier.

11 Q. And I can assume that the company had not  
12 begun any restoration activities by 7:00 a.m. on  
13 December 12th; is that correct?

14 A. [LETOURNEAU] No, that is not correct. We  
15 would have begun restoration efforts immediately  
16 upon the first call that we had customers with no  
17 service, which would have been the night of December  
18 11th, in the evening.

19 A. [MEISSNER] Throughout the nighttime hours  
20 there would have been a lot of switching going on.  
21 Sometimes it's not always understood what that  
22 entails. I mean, it does take time. You know,  
23 typically, engineering is involved, determining how  
24 to go about the switching. They have to determine

1 the exact sequence. They have to write up switching  
2 hours and the specific sequence that they go through  
3 in the field in terms of tagging and releasing  
4 clearances and so forth.

5 So it often seems as though switching  
6 takes longer than you might think. It's involved.

7 Q. Just to be clear I understand: When you  
8 say switching orders, can that switching be done  
9 remotely, or does that require crews to go out in  
10 the field?

11 A. [MEISSNER] It could be either.

12 Q. And did the company have crews out in the  
13 field on the night of the 11th and the morning of  
14 the 12th to restore --

15 A. [LETOURNEAU] Yes.

16 Q. And as of 7:00 a.m. on the 12th, had the  
17 company, and I imagine this would fall under the  
18 responsibilities of the communication coordinator,  
19 who was serving as the municipal field coordinator,  
20 contacted municipal officials, either public safety  
21 or elected, in any of the four towns?

22 A. [LETOURNEAU] Was your question by 7:00  
23 a.m.?

24 Q. Yes.

1           A.    [LETOURNEAU] Yes, they would have  
2 contacted the municipals prior to the event  
3 occurring.

4           Q.    So during the day of the 11th, when the  
5 storm was impending, Ms. Vanhillo or someone under  
6 her would have contacted the Towns.

7           A.    [LETOURNEAU] Yes. Ms. Vanhillo -- the  
8 procedure would be Ms. Vanhillo would make contact  
9 with each of the municipals to verify contact  
10 information, so verify that we have the correct  
11 information. (Pause.)

12                   MS. EVANS: Let's go off the record,  
13 please.

14                   (Discussion off the record.)

15                   MS. EVANS: Back on the record, please.  
16 We are adding another person to the company's panel,  
17 Mr. Mark Frappier, to answer some questions  
18 regarding the restoration. Mr. Frappier, I'd like  
19 to swear you, please.

20                   MARK FRAPPIER, Sworn

21                   MS. EVANS: Ms. Purcell, could you have  
22 Mr. Frappier identify himself and his position with  
23 the company.

24                   DIRECT EXAMINATION

1 BY MS. PURCELL:

2 Q. Mr. Frappier, could you please state your  
3 full name and your address and your title.

4 A. [FRAPPIER] Mark Frappier. The business  
5 address is 285 John Fitch Highway, Fitchburg. I'm  
6 the electric operations manager at Fitchburg Gas and  
7 Electric.

8 Q. Please briefly explain your role during the  
9 December ice storm.

10 A. [FRAPPIER] During the storm I was the  
11 restoration coordinator.

12 MS. PURCELL: Mr. Frappier is available  
13 for questioning.

14 THOMAS P. MEISSNER, JR., GEORGE R.  
15 GANTZ, MARK LAMBERT, RAYMOND LETOURNEAU,  
16 RICHARD FRANCAZIO, and MARK FRAPPIER  
17 Previously sworn

18 DIRECT EXAMINATION

19 BY MR. PERLMUTTER:

20 Q. We left off discussing that the  
21 communications coordinator, Ms. Vanhillo, did  
22 contact officials in each of the four towns; is that  
23 correct?

24 A. [FRAPPIER] Communications prior to the

1 storm on December 11th, there was a public service  
2 announcement sent to all the municipals. Those  
3 municipals have direct lines to our dispatch center.  
4 As first responders to emergency calls, they call  
5 directly into the storm room.

6 I'm not aware of the communications  
7 directly between communications coordinator Peg  
8 Vanhillo and the municipals prior to the event.

9 Q. And just to help me out, when you say  
10 "dispatch room," is that in the EOC?

11 A. [FRAPPIER] It is in the EOC. It's manned  
12 24 hours by a systems dispatcher.

13 Q. When the EOC is operational.

14 A. [FRAPPIER] At all times.

15 MR. MUELLER: Madam Hearing Officer, if  
16 the Department would like that detail, we could take  
17 that as a record request.

18 MR. PERLMUTTER: What detail is that?

19 MR. MUELLER: In terms of communications  
20 prior to --

21 MR. EPLER: To verify the question of  
22 whether or not Ms. Vanhillo did make those calls.  
23 She's not here. We don't know for certain, and we  
24 can verify that.



1                   MR. PERLMUTTER: The record request  
2 would be to provided documentation of all contact,  
3 communication, correspondence between the  
4 communications coordinator, Ms. Vanhillo, and  
5 representatives in the four towns, including elected  
6 officials and public safety officials.

7                   MS. EVANS: That will be Record Request  
8 DPU-3.

9                   (Record Request DPU-3.)

10                  MS. EVANS: Does the witness understand  
11 the record request?

12                  WITNESS FRAPPIER: Yes, I do.

13                  Q. To be clear, this was the time period  
14 leading up to, let's say, 7:00 a.m. on December  
15 12th, so in the very early parts, before the storm  
16 hit, and the very early parts of the storm.

17                  MR. STETSON: Madam Hearing Officer,  
18 just one question I'd like to get clear on the  
19 record: Mr. Frappier's area that he was responsible  
20 for, I believe it was simply the Fitchburg Gas and  
21 Electric territory. It didn't include any of the  
22 other two service areas. Is that correct?

23                  WITNESS FRAPPIER: That's correct.

24                  MS. EVANS: Off the record.

1 (Discussion off the record.)

2 MS. EVANS: Back on the record, please.

3 Q. So as of 7:00 a.m. on Friday, December 1th,  
4 what was the company's sense of the damage that  
5 occurred to the system?

6 A. [FRAPPIER] Extensive. With the  
7 transmission system, we had many problems -- many  
8 problems on the transmission system. Distribution  
9 substations were without power through most of the  
10 system.

11 Q. And just, again, I said before, and I'll  
12 keep on coming back to the topology: How many  
13 distribution substations in the Fitchburg service  
14 territory?

15 (Pause.)

16 A. [FRAPPIER] There are ten 69-kV  
17 distribution substations.

18 Q. And these step down from 69 kV to 13.8?

19 A. [FRAPPIER] Yes, and 4 kV.

20 Q. There's two transformers that step down  
21 from 69 to 4 kV? Is that in addition to the ten?

22 A. [FRAPPIER] Yes.

23 No, excuse me, it's part of the ten.

24 BY MS. EVANS:

1 Q. In the materials that you provided us, is  
2 there a diagram of your system at all?

3 A. [LETOURNEAU] I don't believe we  
4 provided -- Mr. Yardley in his report provided a  
5 fairly detailed description of the Fitchburg system.  
6 BY MR. PERLMUTTER:

7 Q. And for what I consider the day shift of  
8 December 12th, how many damage assessors were doing  
9 work in Fitchburg's service territory?

10 A. [FRAPPIER] I don't have that. I don't  
11 know that number off the top of my head.

12 Q. I think we'll look it up. I'm pretty sure  
13 that we discussed that it was 26. Let's make sure,  
14 because that's....

15 If you could turn to the February 23rd  
16 filing, the company's February 23rd filing, which is  
17 Exhibit FGE-2, on Page 51.

18 Have you turned to Page 51 of the  
19 report?

20 A. [FRAPPIER] Yes.

21 Q. Can you see where it says the initial  
22 damage assessment was performed by 26 FG&E staff?

23 A. [FRAPPIER] Yes, I do.

24 Q. So is it fair to say that during the day of

1 December 12th that there were 26 staffers performing  
2 damage assessment in Fitchburg's service territory?

3 A. [FRAPPIER] There were personnel performing  
4 multiple roles, multiple functions. These same 26  
5 folks could have been responding to wire down,  
6 leading crews. While they're out there, they are  
7 performing damage assessment.

8 Q. I'm sorry, they could be doing wires down  
9 and did you say leading crews?

10 A. [FRAPPIER] Right.

11 Q. So it would be part of repair crews?

12 A. [FRAPPIER] Yes. And while they're working  
13 with those crews, they would be moving ahead of  
14 them, performing damage assessment. So multiple  
15 roles, multiple functions.

16 Q. I think I asked this question the other  
17 day: Damage assessors operate individually, as a  
18 general rule?

19 A. [FRAPPIER] Yes.

20 Q. And what form of transportation do they  
21 use? Do they travel around in Unitil-marked cars?

22 A. [FRAPPIER] Pickup trucks, correct.

23 Q. Are they marked as Unitil?

24 A. [FRAPPIER] Yes, they are. Some are vans,

1 but they are marked Unitil. We did have engineers  
2 in personal vehicles also performing that function.

3 MS. EVANS: Could you speak up? It's  
4 very hard for us to hear.

5 A. [FRAPPIER] We did have some personnel out  
6 there in their personal vehicles from the  
7 engineering department performing assessments.

8 Q. How many wires-down personnel were  
9 available to the company on the day of December  
10 12th? And I understand there are multiple roles  
11 being performed.

12 Maybe I could ask it differently. Maybe  
13 you could respond -- it seems difficult to find that  
14 number. I'm just trying to understand, you know,  
15 who was out in the field during this day. Do you  
16 have people doing wires-down that are not damage  
17 assessors?

18 A. [FRAPPIER] Yes.

19 Q. Can you identify wires-down personnel?

20 A. [FRAPPIER] Yes. The EOC, we had multiple  
21 departments, so we had personnel from the meter  
22 department, the gas operations, and supervisory  
23 personnel from both electric meter and gas  
24 operations performing wire-down -- performing many

1 functions.

2 Q. But it's hard for you to pinpoint exactly  
3 how many persons were performing wires-down  
4 functions?

5 A. [FRAPPIER] It is.

6 A. [LETOURNEAU] I think what's -- the 26  
7 damage assessors, when the storm -- the light comes  
8 up, we're sending people in the field. We're  
9 responding to wire-down calls. When you respond to  
10 a wire-down call, there may be emergency apparatus  
11 on the scene, there may not be. We're trying to  
12 assess that particular situation. That person may  
13 clear -- that wire's telephone, it's cable. It's  
14 not until. They continue with whatever assignment  
15 they were given. They may be performing damage  
16 assessment at that time. They may be crew guys.

17 Q. I'm sorry?

18 A. [LETOURNEAU] Crew guys, commonly called  
19 bird dogs; long names for them. But they may have  
20 crews assigned to them, that they're taken out to a  
21 particular location to begin restoration of service.

22 So when you ask -- when the question  
23 came how many damage assessors did we have, those  
24 people were performing damage-assessment

1 responsibilities, but they were performing multiple  
2 tasks. We would prioritize their tasks based on the  
3 situation or the event.

4 If we had a crew guy that was managing  
5 several crews in the field and the Town of Ashby  
6 called and said, "We have a live wire on Main  
7 Street," we would pull one of those people that are  
8 trained to go and assess that particular wire down.  
9 So they may now switch from being a damage assessor  
10 to a wire-down person. They go attend to that.  
11 They either wait for a crew to come, or they manage  
12 that situation, however they determine they need to  
13 handle it. When that situation is resolved, they go  
14 back to doing their previous job. It could be --  
15 again, it could be performing damage assessment. It  
16 could be being a crew guy.

17 Q. I think the company testified previously --  
18 and I think we just discussed this -- that there  
19 were 26 people within Fitchburg who can serve as  
20 damage assessors. Is that correct?

21 A. [LETOURNEAU] Yes.

22 Q. How many persons within Fitchburg can serve  
23 as wires-down --

24 A. [FRAPPIER] It is the same 26.

1 Q. I know this is on the record, but maybe  
2 you'll know it off the top of your head: At 7:00  
3 a.m. on December 12th, how many repair crews were  
4 available to work in the Fitchburg service  
5 territory?

6 Maybe if I can refer you to Page 19 of  
7 the self-assessment report. On the top of Page 19  
8 it says within Unitil there were 25, quote-  
9 unquote, "inside-bucket crews," six of which were  
10 within Fitchburg. So is it fair to say that on the  
11 morning of the 12th there were six bucket crews  
12 working in Fitchburg?

13 A. [FRAPPIER] I believe that's correct.

14 Q. And what does the term "inside" mean here?

15 A. [FRAPPIER] It means Unitil personnel plus  
16 the contract crews that have been working on our  
17 system, whether it's performing construction or  
18 everyday maintenance.

19 Q. Just to sort of get the lay of the land:  
20 On the morning of the 12th there were 26 personnel  
21 who could perform damage-assessment and wires-down  
22 functions, and there were six bucket crews that  
23 could perform restoration in the Fitchburg service  
24 territory.



1           A.   [FRAPPIER] Correct.

2           Q.   Mr. Letourneau, in your role as the energy  
3 restoration manager overseeing all three service  
4 territories, at this point in time were you figuring  
5 out whether there was an opportunity to move some  
6 Unitil personnel from Seacoast and Capital into  
7 Fitchburg?

8           A.   [LETOURNEAU] No, I was not doing that.  
9 Seacoast as well as our Capital region was in full  
10 restoration mode with the crews that they currently  
11 had. There was not an opportunity to relocate crews  
12 at this point in the storm.

13          Q.   For bucket crews, there are typically two  
14 persons per crew?

15          A.   [FRAPPIER] Correct.

16          Q.   Are they all driving around in vehicles  
17 marked as Unitil vehicles?

18          A.   [FRAPPIER] Yes, they are.

19          Q.   Even the ones that are contractors?

20          A.   [FRAPPIER] I'm sorry. No, the contract  
21 crews are not identified as Unitil.

22          Q.   And then to finish the discussion about  
23 crews: There were also two tree crews working  
24 during the day of December 12th in Fitchburg's

1 service territory?

2 A. [FRAPPIER] That's correct.

3 Q. So other than the 26 damage assessors, the  
4 six repair crews, and the two tree crews, was there  
5 any other personnel in Fitchburg out in the field  
6 doing work?

7 A. [FRAPPIER] No.

8 A. [LETOURNEAU] At 7:00 a.m., because you're  
9 providing a timeline, so I want to make sure --  
10 because our data -- you know, we were asked to  
11 provide data by day, so we provided you data by day.  
12 Crews were coming into Fitchburg at 7:00 a.m., if  
13 you're still talking about 7:00 a.m. I just wanted  
14 to clarify that. Thank you.

15 BY MS. EVANS:

16 Q. Those 26 crews we're talking about, those  
17 were working at 7:00 a.m. in addition to the six  
18 bucket crews and two tree crews? The 26 damage  
19 assessors were also working at 7:00 a.m. on the  
20 12th; is that correct?

21 A. [FRAPPIER] Yes. They were working at  
22 7:00.

23 Q. They were?

24 A. [FRAPPIER] They were.

1 BY MR. PERLMUTTER:

2 Q. And typically is damage assessment a  
3 daytime activity?

4 A. [FRAPPIER] Yes.

5 Q. Is restoration typically a daytime activity  
6 or 24 hours?

7 A. [LETOURNEAU] It's 24 hours. We do  
8 restoration round the clock, but we try to have the  
9 majority of our resources on during the daylight  
10 hours.

11 Q. And so --

12 A. [LETOURNEAU] Sorry. That's it.

13 Q. And you're in contact with the crews  
14 throughout the day. So would you say that at all  
15 times on the 12th you knew where all the 26 damage  
16 assessors-slash-wires-down personnel were located?

17 A. [FRAPPIER] Yes.

18 Q. And what's the form of communication?

19 A. [FRAPPIER] Radio, telephone.

20 Q. And was the AMI system providing any useful  
21 information on the day of the 12th?

22 A. [FRAPPIER] No. We weren't looking at AMI  
23 at this time.

24 Q. I know it's been discussed before, but

1 could you describe why that wasn't providing you  
2 information that could help you with damage  
3 assessment?

4 A. [MEISSNER] I might be able to answer that  
5 better than Mark. AMI, as we've talked about, is  
6 not a tool that's been interfaced with the OMS  
7 system to date. So it's a tool that we have people  
8 that can use with GIS to spot outages. But at this  
9 point, no system, AMI or EMS, would have told you  
10 anything except all your customers were out. So if  
11 we had had it up and running, it simply would have  
12 said all your customers were out.

13 Q. And how do the damage assessors bring their  
14 reports back to the EOC? Is that a physical  
15 process? I know you testified that they mark up  
16 circuit maps and that sort of thing? Are you  
17 waiting for the damage assessors to return to the  
18 EOC so that you can then work up restoration orders?

19 A. [FRAPPIER] Are you still speaking to the  
20 first morning of the storm?

21 Q. Now I'm speaking through the day of  
22 December 12th, throughout the day.

23 A. [FRAPPIER] The first day of the storm.

24 At this time we had no radio

1     communications, telephone communications. They  
2     would write notes. I don't believe we had a lot of  
3     maps provided on the first --

4           Q.     Let me ask this: By the end of the day, so  
5     let's say 7:00 p.m. on the 12th, which part of your  
6     transmission- and primary-line systems had been  
7     assessed for damage?

8           A.     [FRAPPIER] We had been to the transmission  
9     system, and main lines, three-phase main streets,  
10    was in progress.

11   BY MS. EVANS:

12           Q.     When you say the transmission system,  
13    you're talking about the 69-kV lines?

14           A.     [FRAPPIER] The 69-kV lines off road.

15   BY MR. PERLMUTTER:

16           Q.     So are you saying that by the end of that  
17    first day all of the -- every mile of the three  
18    69-kV lines had been assessed for damage?

19           A.     [FRAPPIER] On the 12th?

20           Q.     Yes.

21           A.     [FRAPPIER] No, I don't believe so.

22           Q.     And do you know -- and the same thing with  
23    the three-phase line: Just a certain percentage of  
24    the mileage had been assessed for damage?

1           A.    [FRAPPIER] That's correct. A lot of roads  
2 were still inaccessible.

3 BY MS. EVANS:

4           Q.    I'm sorry, when you say your three-phase  
5 lines, you're talking about the 13.8 and the 4 kV's;  
6 is that correct?

7           A.    [FRAPPIER] That's correct.

8           Q.    And by 7:00 p.m. on the 12th had power been  
9 restored to any customers in Fitchburg's service  
10 territory?

11          A.    [FRAPPIER] By 7:00 p.m. on the 12th, yes.  
12 A portion of the 69-kV transmission system had been  
13 reenergized, and there were some 13,8 distribution  
14 stations reenergized.

15          Q.    So as of 7:00 p.m. that first day, the  
16 12th, what was the company's sense of damage to the  
17 system? Did you have a better idea of the damage to  
18 your system at 7:00 p.m. than you had at 7:00 a.m.?

19          A.    [FRAPPIER] Yes, we did.

20          Q.    Approximately how many customers were back  
21 up by 7:00 p.m. on the 12th? Could you give me a  
22 ballpark or a percentage?

23                   MS. PURCELL: We might have to look at a  
24 data response.

1           A.    [MEISSNER] If I may: At 8:00 p.m. on  
2 Friday, according to the PSA, there were 28,000  
3 customers without power. So that would have  
4 indicated that approximately 3500 had been restored.

5           MR. STETSON: I'm sorry, I didn't quite  
6 hear the reference.

7           WITNESS MEISSNER: It was the public  
8 service announcement issued on December 12th at 8:30  
9 p.m.

10          MR. STETSON: And that's part of the  
11 response to data request --

12          WITNESS MEISSNER: It was Volume 2 of  
13 our February 23rd report. And in Section 5 -- or  
14 Section 6, I'm sorry, we provided all of the public-  
15 service advisories.

16          MR. STETSON: Thank you.

17          Q.    And on noon of the 12th there was a phone  
18 call with the NEMAG group; is that correct?

19          A.    [LETOURNEAU] That's correct.

20          Q.    And after that call Fitchburg -- no, Unitil  
21 had a commitment for 40 additional crews; is that  
22 correct?

23          A.    [LETOURNEAU] That is correct.

24          Q.    How were those crews to be split up among

1 the three companies?

2 A. [LETOURNEAU] I don't believe at that point  
3 we had made a decision how all the crews were going  
4 to be split up. We had -- we knew that they were  
5 coming from a distance; a day, in some cases. So  
6 that what we would normally do is, as crews are  
7 coming onto our system, we assess at that point in  
8 time what is the best utilization of those crews.  
9 So I don't think by noontime we had made a decision  
10 where those crews were going to go.

11 Q. Is that your decision, as the emergency  
12 restoration manager?

13 A. [LETOURNEAU] It is my decision, based upon  
14 the input of the restoration coordinators.

15 A. [MEISSNER] I was also involved in that as  
16 well, just to be clear.

17 A. [LETOURNEAU] I was going to further say  
18 that I believe -- well, I'd have to pull my timeline  
19 out.

20 WITNESS LETOURNEAU: Do you know where  
21 my timeline is?

22 MS. PURCELL: Page 45 of the DPU report.

23 A. [LETOURNEAU] I have nothing further to  
24 add. I was looking at my timeline because I was



1 thinking of something else.

2 Q. Based on the damage assessors, the wires-  
3 down personnel available, and based on the crews  
4 available; in the evening or afternoon of the 12th  
5 what was your assessment about when power could be  
6 restored, based on the damage you knew about and the  
7 resources you understood to be at the company's --  
8 available to the company?

9 A. [FRAPPIER] We didn't have a complete  
10 damage assessment at that time but just a sense it  
11 would be days. We didn't have a number for crew  
12 hours at that time.

13 Q. When you say you didn't have a complete  
14 damage assessment, it was just because it was the  
15 first day and you hadn't gotten through enough of  
16 the system?

17 A. [FRAPPIER] That's correct.

18 Q. So if you had doubled the damage assessors  
19 to 52 instead of 26, how would that have affected  
20 the company's efforts to perform during the storm?

21 A. [FRAPPIER] Those early days, there was  
22 still damage continuing. Roads were still  
23 inaccessible. We had -- I don't know how much  
24 faster we would have progressed. If we had more

1 people to dedicate strictly to performing damage  
2 assessment, we would have had a better number within  
3 possibly 48 hours, I think.

4 Q. I'm going to divert just for one second and  
5 refer to the self-assessment report at Page 34.  
6 This is Recommendation No. 3 in the self-assessment  
7 report. In this report, the second sentence says,  
8 "It takes approximately one half day to train a  
9 damage assessor." Do you agree with that statement?

10 A. [FRAPPIER] I agree. Well, the program we  
11 had in place, the materials that I've seen, the  
12 training materials, I believe it was at least a  
13 four-hour, or a half a day.

14 A. [FRANCAZIO] Can I jump in on this? There  
15 was an AG request on this particular item, and I  
16 responded to this. The half-day training I think is  
17 more hazard-related. People who have that have  
18 expertise in the field, such as engineers. For  
19 personnel that do not have any experience doing  
20 damage assessment, it's probably going to be more of  
21 at least a day, and with some testing at the end of  
22 that day to make sure they understand the hazards  
23 that they're going to face when they're out doing  
24 damage assessment, because clearly you're going to

1 run into wires down at the same time.

2 So the half a day is legitimate for  
3 ongoing training-type requirements, but once they've  
4 gone through a full training program to begin with  
5 and they have some sort of expertise.

6 Q. Just to follow up a little bit on this,  
7 whoever is appropriate to answer: Has the company  
8 identified which personnel within Unitil, either  
9 Fitchburg or the operating centers, would be good  
10 candidates for training as damage assessors, above  
11 and beyond the 26 that are trained as such?

12 A. [MEISSNER] You know, internally, it tends  
13 to wind up that a lot of the people that would be  
14 best at damage assessment would also be best at  
15 potentially other functions, where they might even  
16 be more valuable. So I know one of the approaches  
17 we're taking is possibly contracting for damage  
18 assessment, because it's the opportunity to bring in  
19 a large number of people from outside the company,  
20 assign them to a task, and hold out some of our key  
21 people for other functions where they would probably  
22 be better used.

23 A. [FRANCAZIO] Along those lines, we have  
24 contracted with both Osmose and Premier, to act --

1 these are two companies that have expertise in  
2 damage assessment. They can bring hundreds of  
3 people onto a system, and we have contracts in place  
4 as we speak with those individuals. That's one of  
5 the first things we did as part of the process to be  
6 prepared.

7 In addition, we are now taking a look  
8 at -- we're in the process of looking at all  
9 available personnel throughout the organization.  
10 From there we will ascertain where we have gaps in  
11 the plan, where we need to fill those gaps, and  
12 whether or not these skill sets are appropriate to  
13 fill those gaps.

14 So that is also ongoing as we speak.

15 Q. And those steps were taken after the storm?

16 A. [FRANCAZIO] Those were taken after the  
17 storm.

18 Q. So before the storm, was there discussion  
19 in the company about doing something to beef up its  
20 damage-assessment capabilities?

21 A. [MEISSNER] We had not had discussions  
22 specifically about that, no. We typically relied on  
23 both operations people and engineering personnel for  
24 that.

1 Q. Returning back to December 12th: Did the  
2 company have discussions within the EOC about using  
3 its helicopter vendors to assist in the damage  
4 assessment effort?

5 A. [FRAPPIER] We had not on the 12th.

6 Q. I am looking at the February 23rd filing,  
7 Volume 2. That's Exhibit FGE-2, Volume 2.  
8 Attachment 1 is the emergency restoration plan. And  
9 I'm looking at Page 41, under Section 7.02,  
10 helicopter vendors. This page, the most recent  
11 revision is shown to be August 28th, 2008. Has the  
12 company ever used a helicopter vendor in its  
13 restoration efforts?

14 A. [FRAPPIER] We have not.

15 Q. Has the company recently been in touch with  
16 these vendors to make sure they're in business and  
17 available to provide service?

18 A. [FRAPPIER] We have used our primary  
19 helicopter vendor, Joe Brigham, to perform patrols  
20 on a -- patrol the transmission system for  
21 inspection services.

22 Q. So you feel confident, if not sure, that  
23 the primary vendor is in business and could have  
24 assisted you if necessary?

1           A.    [FRAPPIER] We did use this person post-  
2 storm. But we have had contact with him prior. I  
3 don't know the last communications, but....

4           Q.    And what about the backup vendor?

5           A.    [FRAPPIER] I'm not familiar with that  
6 backup vendor.

7           Q.    And the company didn't even have  
8 discussions about using a vendor on the day of the  
9 12th?

10          A.    [FRAPPIER] No.

11          Q.    Let me just jump ahead: At any point in  
12 time during the storm restoration did the company  
13 have discussions about using a vendor to assist it  
14 in damage assessment?

15          A.    [FRAPPIER] I believe it was the 19th that  
16 discussion was had.

17          A.    [FRANCAZIO] I know there was discussion  
18 when we brought -- when the Grid crews came in, they  
19 also flew the lines at that point in time.

20          A.    [LETOURNEAU] Transmission.

21          A.    [FRANCAZIO] The transmission.

22          Q.    In light of the damage to the ground, why  
23 is it that nobody talked about using a vendor in the  
24 early days, especially when it was focused on

1 transmission-level and primary-line-level  
2 facilities?

3 Let me ask you a question: Is it that  
4 you quickly became so busy in your work that it just  
5 was something you couldn't devote your time to?

6 A. [FRAPPIER] We had put people in patrol on  
7 the ground right off. We had started people  
8 patrolling that first morning on foot. We were  
9 aware of locations that we could go right to, so we  
10 put vehicles and feet on the ground.

11 Q. In hindsight, we now know the extent of the  
12 damage. If you had sent someone up in a helicopter  
13 on the 12th, what would they have seen?

14 A. [FRAPPIER] They would have seen shield  
15 wire down, treetop pulled over.

16 A. [LETOURNEAU] Distribution, too.

17 A. [FRAPPIER] Distribution as well?

18 Q. What would they have seen in the Fitchburg  
19 service territory?

20 A. [FRAPPIER] They would have seen trees  
21 down, wire down, poles broken.

22 Q. Extensive damage?

23 A. [FRAPPIER] Extensive damage.

24 BY MR. PERLMUTTER:

1           Q.    My question is, I'm just trying to figure  
2 out: You have provision for contacting a helicopter  
3 vendor. Was this storm not appropriate to take  
4 advantage of this --

5                   I'm just trying to figure out why it is  
6 the company didn't avail itself of something that's  
7 clearly identified in the plan.

8           A.    [LETOURNEAU] Damage assessment performed  
9 on the distribution level by aerial patrol I don't  
10 think is an effective way for us to do a detailed  
11 damage assessment. That's best performed on the  
12 ground. That's best performed by people driving the  
13 circuits, driving the facilities.

14                   On the transmission system, it's a valid  
15 way to do it. On the transmission system, there's  
16 not a lot of equipment from Point A to Point B.  
17 It's wire and it's insulators, and there's not a  
18 tree canopy. The right-of-way is well-maintained;  
19 you can see your facilities.

20                   On the distribution side, I'm unaware of  
21 any company that utilizes helicopters for  
22 distribution-type evaluation. I don't see that  
23 being a valuable tool for performing a detailed  
24 damage assessment.



1           So this helicopter vendor is in this  
2 plan for transmission, for if we needed to move  
3 equipment into an area that we couldn't get to, for  
4 various other things that you might need a  
5 helicopter for. But it wouldn't be for distribution  
6 inspections.

7           A. [MEISSNER] In terms of your question, I  
8 think the reality was, in the morning, instead of --  
9 I mean, a decision could have been made to call a  
10 helicopter. They instead dispatched personnel to  
11 immediately begin foot-patrolling. That's the  
12 decision that was made at the time.

13           I do think that they, you know,  
14 identified the problem locations on the transmission  
15 relatively quickly. It didn't delay restoring the  
16 transmission, because even, as I recall, when I was  
17 there, they had the locations identified as to where  
18 the problems were and they knew what the nature of  
19 the problems were. And by afternoon we were  
20 dispatching off-road equipment, typically referred  
21 to as Bombardiers, down to begin clearing those  
22 problems. But I think the reality is, the decision  
23 at the outset was to foot-patrol instead of fly.  
24 BY MS. EVANS:

1 Q. If you had gone up on the 12th, noting that  
2 you may not have seen specific distribution  
3 equipment damage, would a helicopter fly-over have  
4 given you a good idea of the scope of the damage out  
5 there, beyond your transmission lines?

6 A. [MEISSNER] I think you're asking a fair  
7 question. I mean, we've talked about that since the  
8 storm, and I think we've agreed that in the future  
9 we would probably do a fly-over.

10 I think what Mr. Letourneau is trying to  
11 say is, it's not a substitute for damage assessment,  
12 and we recognize that. But yes, you could do a  
13 fly-over and get an assessment aurally in terms of  
14 how bad it was.

15 Q. An initial assessment.

16 A. [MEISSNER] Yes.

17 Q. Which is what we're talking about on the  
18 12th; right? A feeling for the scope of how much  
19 damage is out there from this storm once the sun  
20 came up.

21 A. [MEISSNER] That is correct.

22 Q. Thank you.

23 BY MR. PERLMUTTER:

24 Q. So if we return to December 12th: By the

1 end of the day, Mr. Frappier, as the restoration  
2 coordinator, did you have a level of comfort that  
3 Fitchburg had sufficient resources to respond to  
4 this storm?

5 A. [FRAPPIER] I was speaking with  
6 Mr. Letourneau, requesting, "We're going to need" --

7 Q. Excuse me?

8 A. [FRAPPIER] I had been speaking with  
9 Mr. Letourneau throughout the day and just getting  
10 updates on what crews were going to be provided to  
11 assist us. We knew it was extensive. We knew we  
12 were going to need a lot of help.

13 Q. And then is it fair to say that a good  
14 part, if not most, of the overnight activity, maybe  
15 between 7:00 p.m. and 7:00 a.m. between December  
16 12th and 13th, centered around working up orders for  
17 the restoration crews the next day?

18 A. [FRAPPIER] That's correct. We were  
19 preparing to dispatch crews first light, so we would  
20 prepare work packages.

21 Q. Maybe if you could give us a description  
22 of, you know, how such a work order is put out, you  
23 know, from a particular damage-assessment spot, what  
24 you have to do overnight, and then how that plays

1 into how the crew is dispatched the next morning.

2 A. [FRAPPIER] We were identifying locations  
3 where the poles were broken, where we were going to  
4 need to get the pole-setting crews, so we could work  
5 to energize those main lines. We were gathering the  
6 information from the folks who had been out in the  
7 field during the day, specifically where the wire  
8 was down, what materials we were going to need, so  
9 we could stock the trucks.

10 A. [MEISSNER] As I recall, from having been  
11 there on Saturday, there was a group of engineers on  
12 a conference call that were performing this  
13 analysis.

14 BY MS. EVANS:

15 Q. And how actually were they doing that?  
16 What were they looking at to figure out the location  
17 of poles down, where the wires are down, so that you  
18 can put the work packages together in the morning?

19 A. [MEISSNER] I can't speak to what they were  
20 doing. I saw them preparing maps and piles of maps,  
21 getting organized -- partly because we were  
22 anticipating all the outside crews to be coming in  
23 that day. So we were organizing the work, expecting  
24 a large contingent of outside crews on Saturday.

1           Q.    In order to identify the repairs that  
2 needed to be made, what documents or records did you  
3 folks use at nighttime, the nighttime of the 12th,  
4 to prepare these packages for these expected crews  
5 the next morning?

6           A.    [FRAPPIER] It was marked-up maps, and it  
7 was just lists provided by people coming in from  
8 damage assessment.

9           Q.    Handwritten?

10          A.    [FRAPPIER] Yes, marked-up maps,  
11 handwritten notes.

12          Q.    And that information was put together by  
13 the engineers and transferred into what? Written  
14 work orders; is that correct?

15          A.    [MEISSNER] Map packages, would probably be  
16 the best way to explain it.

17          Q.    Which would include a map telling them  
18 where they need to go and what else?

19          A.    [FRAPPIER] A list of -- there was a list  
20 of poles identified, so what size pole they were  
21 going to need, to what location. Emergency Dig  
22 Safes were called during the night by the dispatcher  
23 in preparation for setting up.

24                   Tree crews were dispatched as well, just

1 based on the locations identified by the damage-  
2 assessment folks. This road was accessible or  
3 inaccessible; they could go out and clear the road  
4 so the wires could be reached.

5 Q. So you had all this information and you  
6 were preparing these map packages for the crews in  
7 the morning. For the morning of the 13th, how many  
8 crews did you anticipate handing these packages to,  
9 when the sun came up on the morning of the 13th?  
10 Did you have a certain number of internal crews and  
11 then --

12 A. [MEISSNER] There was a certain number of  
13 crews working, and then there was actually the  
14 expectation of a large number of crews arriving  
15 midday or the afternoon.

16 Q. So the first thing in the morning, how many  
17 crews would these packages be handed to?

18 A. [FRAPPIER] The morning of the 13th we  
19 would have had 18 crews available to work. We had  
20 plans to work on the transmission repairs. And then  
21 we had plans to work on the distribution system,  
22 just out -- the main lines, the main feeders  
23 emanating from the substations.

24 MR. STETSON: Mr. Frappier is referring

1 to a document or a response. Could you identify  
2 that for the record, please?

3 WITNESS LETOURNEAU: This is a document  
4 that I had developed -- actually, Mr. Meissner had  
5 developed. It's from our data request. It's just  
6 day-by-day crew counts that we provided in various  
7 data requests.

8 MR. STETSON: Is that in the record?

9 WITNESS LETOURNEAU: It is. All this  
10 information is in the record. I just compiled it so  
11 he could refer to it.

12 MR. STETSON: It's not in the record in  
13 that form.

14 WITNESS LETOURNEAU: No, it's not in the  
15 record in this form.

16 MR. STETSON: Could we ask that that be  
17 marked?

18 WITNESS LETOURNEAU: I don't have a  
19 problem with that.

20 MS. EVANS: Marked as an exhibit?

21 MS. PURCELL: Sure.

22 MS. EVANS: Let's mark that for  
23 identification FGE-9.

24 Do we have some copies of that?

1 MS. PURCELL: Not, because we're just  
2 hearing that he needs it now. We could make some.

3 MS. EVANS: Let's go off the record.

4 (Recess taken.)

5 MS. EVANS: Back on the record. We took  
6 a brief break. Two things: First of all, I'd like  
7 to note that we now all have a copy of the exhibit  
8 marked FGE-9, which is the tabulation of crews by  
9 day in the three Unitil service territories. Is  
10 that correct? Mr. Letourneau, you had this  
11 document; is that correct?

12 WITNESS LETOURNEAU: That is correct.

13 (Exhibit FGE-9, marked for  
14 identification.)

15 MS. EVANS: That copy is marked for  
16 identification purposes.

17 Secondly, I'd like to note that we have  
18 added a few more folks from Unitil to the panel.  
19 Would counsel for Unitil like to introduce these two  
20 people and we'll swear them?

21 MS. PURCELL: I'm going to identify  
22 Chris Dube and Kevin Sprague.

23 CHRISTOPHER DUBE and

24 KEVIN SPRAGUE, Sworn



## 1 DIRECT EXAMINATION

2 BY MS. PURCELL:

3 Q. Mr. Dube, would you please state your full  
4 name and your title and your business address for  
5 the record.6 A. [DUBE] My name is Christopher Dube. My  
7 title is technical services manager of the energy  
8 measurement and control department. My business  
9 address is One McGuire Street, Concord, New  
10 Hampshire.11 Q. Thank you. Just briefly describe the role  
12 that you participated in during the winter storm of  
13 2008.14 A. [DUBE] I arrived in Fitchburg on the  
15 morning of the 12th, where I assumed the role of the  
16 restoration superintendent. I was there for the  
17 duration of the storm. My primary function was to  
18 back up Mark Frappier as the coordinator.19 Q. Thank you. And Mr. Sprague, please state  
20 your full name and your title and your business  
21 address for the record.22 A. [SPRAGUE] My name is Kevin E. Sprague.  
23 I'm the director of engineering for Unitil. My  
24 address is 6 Liberty Lane West, Hampton, New

1 Hampshire.

2 Q. And what role did you take in the winter  
3 storm of 2008?

4 A. [SPRAGUE] I was first contacted on the  
5 evenings of the 11th by Mr. Frappier, when it was  
6 apparent that the transmission lines from National  
7 Grid were experiencing problems. My role at that  
8 point was to help reconfigure the system through  
9 developing switching orders that operations could  
10 then carry out in the field. And then I reported  
11 down to Fitchburg on the 12th and remained at  
12 Fitchburg in the EOC until December 24th.

13 MS. PURCELL: Thank you. I have no  
14 further questions.

15 THOMAS P. MEISSNER, JR., GEORGE R.  
16 GANTZ, MARK LAMBERT, RAYMOND LETOURNEAU,  
17 RICHARD FRANCAZIO, MARK FRAPPIER,  
18 CHRISTOPHER DUBE, and KEVIN SPRAGUE,  
19 Previously Sworn

20 BENCH EXAMINATION

21 BY MR. NELSON:

22 Q. Going back to the 12th, 13th: What  
23 information did you use to determine that 30 crews  
24 would be sufficient to supplement what you already

1 had committed as outside resources?

2 A. [LETOURNEAU] It was 40 crews. The  
3 original NEMAG conference call took place on the  
4 morning of the 12th, at, I believe, 0600. At that  
5 time I had reports from each of the restoration  
6 coordinators that they were experiencing multiple  
7 troubles on their systems, and I asked them to  
8 provide me with an estimate of what they thought  
9 they needed for crews. And each of them were -- at  
10 the three locations were looking for ten crews at  
11 that point in the call. It was early morning.  
12 Fitchburg was still dealing with their transmission  
13 problems. At that point in time in the storm we  
14 hadn't been out with our damage assessors at that  
15 point. We were just dealing with our transmission  
16 issue.

17 And in New Hampshire we had similar --  
18 we had a few transmission issues in New Hampshire  
19 that we were working on. So we made a decision that  
20 we would ask for 30 mutual-aid crews.

21 On the second conference call, at  
22 noontime, we had begun getting some reports of a  
23 number of broken poles that we had on the system.  
24 Some of the damage assessors in the field, as they

1 were performing their jobs, were describing some of  
2 the damage that they were seeing -- trees uprooted,  
3 healthy trees down, broken poles -- across all three  
4 service territories. And so we moved that number --  
5 at that point in time we had approximately 30 crews  
6 working. We moved that number to 40, to get 70  
7 crews on the Unitil system. So it was based on  
8 those discussions that I had with the restoration  
9 coordinators.

10 Q. Okay, but the communication to NEMAG --  
11 Right?

12 A. [LETOURNEAU] Yes.

13 Q. -- you asked for 30 initially, and then you  
14 upped it to 40?

15 A. [LETOURNEAU] Correct.

16 Q. What made you decide the original 30? Was  
17 that ten for each --

18 A. [LETOURNEAU] Yes.

19 Q. Just as an initial pass, to get ten for  
20 each group?

21 A. [LETOURNEAU] Yes.

22 Q. And this was because you didn't have enough  
23 information?

24 A. [LETOURNEAU] Because at that time we had

1 no damage assessment performed.

2 Q. Okay, but you knew you needed additional  
3 resources.

4 A. [LETOURNEAU] We knew from the trouble  
5 calls that we were getting that we had outages on  
6 our system.

7 Q. At what point did you change and actually  
8 get a commitment? How did that initial request of  
9 ten change and when did that change? Why did you  
10 change it to increase?

11 A. [LETOURNEAU] You said ten? I don't know  
12 what you mean.

13 Q. No, the difference, the 30, and then you  
14 increased it by ten.

15 A. [LETOURNEAU] It changed from 6:00 a.m. to  
16 12:00 noon. We had begun damage assessment in all  
17 three service territories. We had been out in the  
18 field. We had had daylight since 7:00 in the  
19 morning, approximately. Crews were in the field  
20 working. Damage assessors were in the field  
21 working.

22 Damage assessors, as Mr. Frappier  
23 indicated, when they're in the field initially,  
24 they're calling in what they're seeing. They're

1 calling into the emergency operations center that,  
2 "I just went and looked at this wire down, and  
3 there's two broken poles on this street." So  
4 Mr. Frappier is making notes of what they're calling  
5 in. So we may not have a marked-up map. We may not  
6 have information documented from the field. But we  
7 have enough information from just the reports that  
8 we're getting from municipals, from the reports that  
9 we're hearing from our own employees -- you know, we  
10 had our employees reporting to work at 5:00, 6:00,  
11 7:00 in the morning. Some employees, Mr. Dube is a  
12 good example -- it took him several hours. He lives  
13 20 minutes from the Fitchburg DOC. It took him  
14 several hours to get into the office.

15 So we got reports of the damage we were  
16 seeing on the roadways. We knew we were having  
17 issues on our distribution system. We just didn't  
18 have the scope, at that point. The scope of the  
19 damage was not detailed, in any detail.

20 Q. From the few streets that your staff passed  
21 through in order to get to the Fitchburg office,  
22 were there any discussions on taking just that  
23 information and then applying it across the system,  
24 to come up with a --

1           A.    [LETOURNEAU] The initial damage assessment  
2   that we do does do some of that, I guess I'd call it  
3   extrapolation. You're looking at your system. You  
4   know where you've been, and you know what you've  
5   seen, and you're trying to think about do we have  
6   further -- is it just localized, to just Fitchburg?  
7   Because at this point in the storm, Fitchburg was  
8   completely in the dark. So if I looked at my  
9   customer counts, I'm looking at Seacoast has a  
10   certain percentage of their system off, Capital has  
11   a certain percentage of their system off. Fitchburg  
12   is at 100 percent, because they've lost their  
13   transmission system. So we didn't have a good idea  
14   other than the visuals that we got from employees.

15                   So you do do a little bit of  
16   extrapolation, but that's not a very accurate  
17   picture at that point. You're not making crew  
18   decisions based on that assessment. You're making  
19   an assessment of how bad do I think this storm is?  
20   Well, I know we have transmission problems. And at  
21   that point in the storm, we were very hopeful that  
22   as soon as we got the transmission system back up we  
23   would have a very -- that 100 percent off would go  
24   to some other number. You know, we were hoping we

1 would pick up a majority of the system once we got  
2 the transmission system going.

3 Q. When you brought back your first couple of  
4 substations, did you energize all your feeders out  
5 of those first couple, when you restored just a  
6 portion of your transmission?

7 A. [FRAPPIER] Yes. When we energized those  
8 first couple of subs, we did pick up some  
9 neighborhoods or some customers out of our subs.

10 Q. Did you energize all your circuits out of  
11 those substations, the first one that you  
12 reenergized?

13 A. [SPRAGUE] I think I could answer this.  
14 Our general approach to restoring the system at this  
15 point in time was one of -- we were trying to ensure  
16 safety. We knew we had wires down. We knew that we  
17 didn't want to energize those wires down. So at  
18 this point in time we made the decision, as we were  
19 going to continue restoring our 69-kV system, that  
20 we were actually going to go to all of our  
21 substations and open up the circuits. So our first  
22 objective was 69-kV lines, get the substations back  
23 up. Once we got the substations back up, then we  
24 went circuit by circuit, trying to get as much of



1 the main lines as we could. So it wasn't like we  
2 were energizing 69-kV and just blindly energizing,  
3 you know, a bunch of distribution that we knew we  
4 had problems with.

5 Q. No, I understand that portion of it, Mr.  
6 Sprague. But what I'm trying to find out is: When  
7 you first got those first couple of substations  
8 reenergized, were you able to pick up the circuit,  
9 or did you find between the substation breaker and  
10 the first switch, did you find extensive damage, so  
11 you couldn't?

12 A. [SPRAGUE] I would say it was a combination  
13 of the two. In some locations our first steps were,  
14 okay, go out to the next device. Do we have any  
15 problems? If there are no problems, open that  
16 device, pick up at least that much.

17 Q. And what day was that?

18 A. [SPRAGUE] That was starting on the 12th,  
19 as we were getting those substations back.

20 Q. And that's why that number that whoever it  
21 was gave us, that 3500 at the end of the first day  
22 was restored?

23 A. [SPRAGUE] Correct. Because as you  
24 probably know, we don't serve customers directly

1 from our 69-kV system. It's all either 13,8- or  
2 2-kV.

3 A. [MEISSNER] I believe, and they may correct  
4 me if I'm wrong, but I believe the biggest chunk of  
5 those customers that were restored were actually the  
6 downtown Fitchburg underground. Is that correct?

7 A. [LETOURNEAU] Right.

8 Q. So the 3500 that was restored was the  
9 initial underground portion of downtown Fitchburg.

10 A. [SPRAGUE] I don't recall if it was all of  
11 it -- if that is the whole 3500. But essentially  
12 the whole downtown underground system was energized  
13 at that point. There was probably other portions of  
14 other circuits that were energized as well.

15 Q. At the end of that day, being the end of  
16 the 12th, going into the night of the 13th, was  
17 there any further discussion of the number of crews  
18 that Fitchburg was looking for, in addition to the  
19 original -- the initial ten to supplement what you  
20 already had?

21 A. [LETOURNEAU] There was not. I didn't get  
22 a call --

23 We had -- the 12th is Friday.

24 The crews that were dedicated to Unit 1

1 in that conference call came from other entities.  
2 So I was on the phone getting information about the  
3 crews, calling those entities -- I believe there  
4 were three entities that I had to call, make  
5 personal contact with, find out what kind of  
6 equipment they have, find out what kind of services  
7 they could provide, et cetera, et cetera.

8 So at that point we hadn't made a  
9 decision where those crews were going. We just knew  
10 they were coming this way and the closest they were  
11 was 16 or 18 hours. So we knew we had some time  
12 before those crews came. But there was no further  
13 discussion at that point, on that day, because we  
14 knew we had resources coming. So there was no other  
15 discussion regarding additional resources other than  
16 the discussion we had.

17 Q. The communication that you had with those  
18 other utilities that were going to supply you with  
19 additional resources, when was that?

20 A. [LETOURNEAU] They weren't utilities. One  
21 was a utility and two were contractors.

22 That was immediately after the NEMAG  
23 call, so 1300 hours on the 12th, something like  
24 that -- 1:00 o'clock in the afternoon.

1 Q. So you're looking at early morning on the  
2 13th, then, to get --

3 A. [LETOURNEAU] That they would be coming?

4 Q. Yes.

5 A. [LETOURNEAU] That would be approximately  
6 correct. That was our assumption, that they were  
7 going to -- they weren't going to leave. The PECO  
8 crews didn't want to leave until -- I'm going by  
9 memory. It gets very difficult. So I apologize.

10 A. [MEISSNER] In terms of arrivals, which I  
11 think is what you're getting at, probably more than  
12 when they left -- they were expected midday on  
13 Saturday. In fact, they arrived a little bit later  
14 than that. They arrived --

15 A. [DUBE] Between 3:00 to 5:00.

16 A. [MEISSNER] I remember one set rolled in --

17 MS. EVANS: You need to speak one at a  
18 time.

19 A. [DUBE] I recall the first set of crews  
20 came in around 3:00 o'clock and then the second set  
21 at 5:00 o'clock.

22 Q. On that afternoon?

23 A. [DUBE] On Saturday, the 13th.

24 Q. And still at that point on Saturday we do

1 not have all the transmission back?

2 A. [DUBE] Correct.

3 Q. At what point did you -- whether it's the  
4 13th or the 14th, did you get all your 69-kV  
5 energized to those substations? Or was it the 15th?

6 A. [DUBE] All the transmission wasn't back  
7 until later on that week.

8 A. [SPRAGUE] We do have --

9 A. [MEISSNER] Kevin can tell you the exact  
10 numbers. But the reality was, not all the  
11 transmission was put back. They were trying to  
12 restore enough of the transmission to restore all of  
13 the substations, not necessarily redundant feeds or  
14 backup feeds.

15 So in doing that, I believe the initial  
16 attempt to get all of it back was early in the  
17 afternoon on Saturday, but one line in particular  
18 didn't hold because there had been additional damage  
19 that occurred after the initial patrol. So then  
20 they had to deenergize the line again, and then that  
21 final line was restored late Saturday night, as I  
22 recall.

23 A. [SPRAGUE] It was late Saturday night when  
24 all of our substations had power.

1 Q. Mr. Sprague, at that point, when you got  
2 power to all of your substations, did you have any  
3 abnormal configurations of the subtransmission  
4 system at that time that you made temporary fixes  
5 to?

6 A. [SPRAGUE] I would characterize the 69-kV  
7 system at that point in time, that we had -- where  
8 we might have parallel lines, one of the lines was  
9 out of service, and we essentially got one line  
10 going throughout the system to get all of the  
11 substations going.

12 Q. That wasn't --

13 A. [SPRAGUE] Pardon. So I wouldn't call it  
14 normal configuration at that point.

15 Q. At what point did you get all your  
16 transmission back normal configuration?

17 A. [SPRAGUE] In normal configuration, I  
18 believe that wasn't until all restoration was  
19 complete.

20 Q. So you're saying that all your transmission  
21 wasn't back to normal until after the 25th?

22 A. [SPRAGUE] I believe so.

23 A. [DUBE] That's correct.

24 A. [SPRAGUE] I think we had one line that was

1 still out of service at the end, that we were  
2 serving the substations otherwise. But I believe  
3 that there was one line that was still out and was  
4 restored on the days following Christmas.

5 Q. Going back to the crews: You made a  
6 decision -- you say that your assessment was done  
7 for the first four days, so you didn't know how many  
8 crews that you ultimately needed; is that correct?

9 A. [LETOURNEAU] The initial assessment took  
10 us approximately four days, yes.

11 Q. Could you explain to us as to how -- what  
12 decisions were made and when to increase that  
13 request for mutual aid in the time frame from the  
14 13th to the 19th or 20th, when --

15 A. [LETOURNEAU] There was no discussion on  
16 mutual aid beyond Friday the 12th. The last mutual -  
17 aid conference call was the 12th, at noontime. So  
18 when we asked for those 40 crews, that was the only  
19 request we made to the NEMAG participants for crews,  
20 other than when we learned that we weren't getting  
21 all the crews we thought we were getting.

22 Q. Maybe I wasn't clear with the way I asked  
23 the question, but I'll go back and rephrase it. How  
24 did you decide that you wanted additional resources,

1 whether through NEMAG or private contractors or  
2 other, abutting neighbors?

3 A. [LETOURNEAU] Once the -- once we became  
4 aware of the extent of damage and the restoration  
5 coordinators began making estimates of the full  
6 restoration, we made decisions that we wanted to  
7 supplement our work force.

8 Q. At --

9 A. [LETOURNEAU] On Monday evening in  
10 Fitchburg I believe was -- into Tuesday is when we  
11 were performing our calculations based on the damage  
12 assessment that was completed. They had completed  
13 their damage assessment. New Hampshire had similar  
14 data that they were projecting their restoration  
15 estimates.

16 Q. In Fitchburg --

17 A. [LETOURNEAU] And in New Hampshire, yes.  
18 Systemwide; sorry.

19 Q. In Fitchburg, at what point in time to  
20 increase that number of resources that would be  
21 required, and what was the -- go ahead and answer  
22 that one first. I'll go to the second part.

23 A. [LETOURNEAU] When I learned on Sunday --  
24 late Saturday night I received a phone call from



1 those -- back to those 40 crews. Fourteen of those  
2 crews were from a contractor that was working at  
3 Dayton Power & Light, I believe. Dayton Power &  
4 Light gave me the number of the contractor. I was  
5 speaking to the contractor himself. I spoke to the  
6 contractor about his equipment, his men, what his  
7 capabilities were.

8 He in fact told me that there were 14  
9 construction crews that were coming. The 14  
10 construction crews was a terminology that I had not  
11 been familiar with. But what that meant was that a  
12 crew was comprised of two buckets, a digger, and  
13 what he called a general foreman, somebody in a  
14 pickup truck. That was a crew. So we were  
15 expecting to get, not 14 bucket crews, but 28 bucket  
16 crews and 16 -- it was in excess of 40 crews. It  
17 was in excess of 70 men that were coming with this  
18 particular contractor, which was -- we were happy  
19 about.

20 As the day progressed after the NEMAG  
21 call, again, he called me late Saturday evening and  
22 essentially said that he couldn't get a crew, he  
23 couldn't get any crews. His men had just come back  
24 from a lengthy out-of-town stay. They had, in his

1 words, made enough money for the time being and they  
2 were quite concerned about getting stuck in New  
3 England for the holidays. So he backed out.

4 A. [MEISSNER] Just for clarification: This  
5 was Friday evening, the 12th, not Saturday.

6 A. [LETOURNEAU] Sorry, you're right, it was  
7 Friday, Friday after the NEMAG call, late Friday  
8 night. I apologize. Thank you, Tom.

9 So Saturday morning I began sending  
10 emails to the NEMAG participants. We have a NEMAG  
11 group -- because I knew I needed to replace those  
12 crews. So I began making pleas to folks: "I lost  
13 my 14 crews." I got several responses back that  
14 people were fully engaged, nobody had any crews,  
15 nobody had any additional resources for us.

16 I made phone calls to some of the  
17 municipalities in Massachusetts, seeking crews. I was  
18 made aware from, I believe, Northeast Utilities that  
19 they had similar experiences. They had lost some  
20 crews from the NEMAG call as well, that they didn't  
21 have any crews.

22 I ended up making a phone call to  
23 PECO -- because, again, after the NEMAG call, we had  
24 had a contact with PECO -- PECO was providing us

1 with ten of their own crews, plus a contractor --  
2 and asked them if they had additional resources they  
3 could provide. They didn't answer me immediately.  
4 They called back -- again, I'd have to go through  
5 the chronology, but it was all provided -- that they  
6 couldn't provide any more crews. PECO was concerned  
7 about their own pending weather. They did not want  
8 to release any further crews.

9 I asked if they had additional  
10 contractor information, and they did. They provided  
11 me with the name of another contractor that they had  
12 utilized in their system that they had provided high  
13 marks for. So I proceeded to call that contractor,  
14 which happened to be in Chattanooga, Tennessee. I  
15 believe at this point now we're into Sunday.

16 It was a Sunday morning when I got ahold  
17 of the Tennessee contractor, told him our situation,  
18 told him I would take whatever available resources  
19 he could send me. And he made commitments for,  
20 again, construction crews. They use construction  
21 crews as well. And he provided us with, I  
22 believe --

23 A. [MEISSNER] It was somewhere around 28  
24 buckets, plus diggers. I don't know that we have to

1 get exact numbers.

2 A. [LETOURNEAU] It was something like 28 --  
3 originally it was like 20 buckets. I told him I --  
4 and 18 diggers or something like that. We had  
5 gotten some digger resources on our system. We knew  
6 we had a lot of poles to set. But I had asked him  
7 to supplement, instead of diggers, put those men on  
8 buckets, if he could, and he did that. So he made  
9 some changes.

10 He called me back later on Sunday, told  
11 me what his resources were, told me when they were  
12 going to be mobile, and that they'd be coming up to  
13 New England.

14 Q. Mr. Letourneau, we can follow those crews.  
15 But at what point did you decide that once you'd  
16 supplemented those -- I'm trying to get to the day  
17 or the time when the restoration center and the  
18 damage appraisers decided that the damage was so  
19 great that you needed additional resources. At what  
20 point in time did that happen?

21 A. [LETOURNEAU] That was approximately  
22 Monday. Monday evening is when we had completed our  
23 damage assessment and we started tabulating our crew  
24 days, how many crew days.

1 Q. What was your estimated restoration time  
2 used to calculate the crew days at that point?

3 A. [LETOURNEAU] I'd let you guys do that.

4 Q. What were you using as a date to have  
5 everything restored?

6 A. [MEISSNER] I don't think that they used a  
7 date to have everything restored when they did the  
8 analysis. They did the analysis, and they reviewed  
9 it with me; that's why I know. And they provided  
10 the dates for full restoration given the crews that  
11 they already had.

12 Then from that point we started trying  
13 to -- we said, "We want to move that up."

14 Q. Move it back.

15 A. [MEISSNER] We wanted to restore sooner  
16 than that.

17 BY MS. EVANS:

18 Q. What was your tabulation on Monday night?  
19 How many crew hours did you figure on Monday night  
20 that you had to put the system back in working  
21 order?

22 A. [SPRAGUE] I'm not sure I remember the  
23 exact number, but I think our estimate at the time  
24 was somewhere during that subsequent weekend, with

1 the crews that we had.

2 A. [MEISSNER] I think it was Friday night in  
3 three towns and end of weekend in Ashby.

4 A. [SPRAGUE] Something along those lines.

5 BY MR. NELSON:

6 Q. Do you have an idea as to how many hundred  
7 crew hours at this point that you're talking?

8 A. [SPRAGUE] I don't know. I don't recall  
9 off the top of my head.

10 BY MS. EVANS:

11 Q. Did you actually do a calculation at that  
12 point in time, Monday night?

13 A. [SPRAGUE] Yes.

14 Q. And said, "This is how much damage we think  
15 we have, this is how long it's going to take us to  
16 do it, and this is the number of crew hours it's  
17 going to take to do the job"? You actually did that  
18 calculation?

19 A. [SPRAGUE] Yes. I can't remember if it was  
20 in our February 23rd report or if it was in  
21 Mr. Yardley's report; but a description of our  
22 initial damage assessment was provided.  
23 Essentially, from that initial damage assessment we  
24 tabulated how many broken poles, how many down

1 wires, and then assigned estimates of repair hours  
2 to that, and summed those up across all of the  
3 circuits.

4 Q. I'm sorry, you say I have it in the record  
5 here somewhere?

6 A. [SPRAGUE] Yes, I believe.

7 Q. The number of crew hours you came up with  
8 on Monday night?

9 A. [SPRAGUE] No, that's not what I said. The  
10 description of how we tabulated them. The Excel  
11 spreadsheet we were using during the time was kind  
12 of a living document and unfortunately was  
13 overwritten as we went through the storm, as we got  
14 more information in each day as to how much had been  
15 repaired.

16 Q. So we could figure out how many crew hours  
17 by backing it out from the dates that you estimated  
18 you'd be done with the number of crews you had on  
19 hand at the time. Could we?

20 A. [MEISSNER] You could probably ballpark it.

21 A. [LETOURNEAU] It wouldn't be exact, but you  
22 could probably ballpark it.

23 Q. Because we have the number of crews you had  
24 each day.

1 A. [LETOURNEAU] Yes.

2 Q. And we have the dates that you thought you  
3 would be restored by town, and you could come up  
4 with a ballpark, on Monday night, how many crew  
5 hours you think you needed.

6 A. [LETOURNEAU] Uh-huh.

7 BY MR. NELSON:

8 Q. From Monday night, when you did that first  
9 estimate, did the magnitude of the damage as you  
10 went through that week change, so that the number of  
11 crew hours would have dramatically gone up or down?

12 A. [SPRAGUE] I can't remember the exact  
13 dates. But throughout the storm, I believe we  
14 experienced several different 69-kV troubles,  
15 troubles on our 69-kV system, where we had restored  
16 a line and then it went back out, and so then we  
17 assigned more crews to that, to repair it, to get  
18 those customers back. In addition, there were areas  
19 of our distribution system during the subsequent  
20 snowstorms throughout the restoration period that  
21 damage continued on the distribution system, which  
22 caused new outages on locations that had already  
23 been previously restored.

24 A. [MEISSNER] In terms of the question, just



1 an observation: In terms of the estimated crew  
2 times and so forth, in my opinion, I think the issue  
3 was, the estimates were low -- that was one issue --  
4 and I think these gentlemen would agree. But then,  
5 beyond that, as we got into those snowstorms, the  
6 snowstorms just had a significant impact -- not just  
7 the working conditions itself, but just what  
8 happened to the facilities is it got buried under  
9 snow and then snowplowed into snowbanks and  
10 everything.

11 So it was a combination of those things.  
12 I think the estimates were low, but then they in no  
13 way accounted for the impact that those snowstorms  
14 had on the restoration efforts.

15 BY MS. EVANS:

16 Q. When you say estimates were low, you mean  
17 the amount of time that you estimated to fix, say --  
18 to replace a pole or to fix a down wire. Do you  
19 have standard estimated repair times of these types  
20 of repairs that you use on a regular basis?

21 A. [SPRAGUE] We had numbers that we were  
22 using for a broken pole, say. We were using four  
23 hours for repairing a broken pole.

24 Q. Is that what your normal time is to repair

1 a broken pole?

2 A. [SPRAGUE] That's what we use for an  
3 estimate.

4 Q. So you were using estimates that you use on  
5 a regular basis?

6 A. [FRAPPIER] On a day-to-day basis.

7 Q. And we've heard obviously that the  
8 snowstorms hampered the situation. Were there other  
9 factors that also made those estimates low that you  
10 knew of Monday night?

11 A. [LETOURNEAU] Knew of Monday night?

12 Q. Or what else would affect -- let me ask you  
13 this: What else would make those estimates low?  
14 What else made the restoration times happen a lot  
15 longer than the estimates?

16 A. [LETOURNEAU] Travel conditions. Equipment  
17 was missing. You know, when you send a crew into an  
18 area to put the wire up, it's usually there. It  
19 wasn't. The plows had been by. The wire was  
20 missing. Rather than just picking up wire, we were  
21 running brand-new wire. That takes longer.

22 Travel conditions were an important part  
23 of it. We sent a digger crew into an area to  
24 perform some work, set some poles. It was difficult

1 to get into the area. We had to wait to have debris  
2 removed, trees removed. That hampered restoration  
3 efforts. Working at night, that first weekend, we  
4 were trying to do as much as we can on the  
5 distribution 24 hours a day. Working at night is  
6 difficult. It was very, very cold. Working  
7 conditions were cold for the workers. It was a  
8 storm that most of the line workers have never seen  
9 in their lives, and they were very concerned about  
10 their safety. You're sitting in a dark road.  
11 There's absolutely nothing on on the circuit.  
12 You're trying to set a pole in the dark, and you're  
13 concerned about traffic coming by, you're concerned  
14 about generators. All you hear in the background  
15 are generators running. Is there anything energized  
16 here?

17 Those were things that we heard from the  
18 line workers that they had never experienced before,  
19 which made the restoration progress very slow.

20 Q. In making your estimates of how long it  
21 would take for you to finish up on the system, did  
22 you account for those special conditions in your  
23 estimates -- that certain things were out there that  
24 would take you longer, like working in the dark or

1 bad-road conditions, so bad-road conditions the  
2 beginning of that week? Did you calculate into your  
3 estimated restoration time these special conditions?

4 A. [SPRAGUE] When we estimate the number  
5 of -- crews would work a 16-hour shift. I think  
6 when we had put together our estimates of that, we  
7 estimated on the order of 10 to 12 hours of actual  
8 working during that time. The remaining hours were  
9 spent eating, stocking their trucks, travel time  
10 from location to location, and, you know, some of  
11 those other unforeseen conditions that would  
12 otherwise not allow them to work.

13 A. [MEISSNER] It's how a measure of  
14 conservatism was added into the estimates, is the  
15 bottom line.

16 Q. I'm sorry, I didn't hear that.

17 A. [MEISSNER] It's how a measure of  
18 conservatism was added into the estimates, was to  
19 assume -- they didn't assume 16 hours of productive  
20 time a day; they assumed a number that was  
21 significantly less. So it was essentially a factor  
22 that was added in.

23 Q. But even with that factor, the work still  
24 proceeded a lot slower than the estimates; is that

1 correct?

2 A. [DUBE] Yes.

3 A. [LETOURNEAU] To answer your question: I  
4 think, in looking at the data, clearly that was an  
5 area that we underestimated. Our conservatism  
6 wasn't conservative enough. We didn't factor in all  
7 of those things. We didn't factor in --

8 But it was difficult. You couldn't  
9 factor in snowstorms. We didn't know that we were  
10 going to get, you know, two different snowstorms to  
11 slow down our restoration progress.

12 So, you know, some things we could  
13 factor in. That's why we used their 12 hours a day  
14 out of 16. But yes, those are the things that, when  
15 we look back and we look at those tools that we  
16 utilized, there's things that I think now we would  
17 look at differently.

18 A. [MEISSNER] You know, maybe to help explain  
19 this: You know, I think the part where you're  
20 trying to translate damage into actual repair times  
21 is the most difficult thing to do. The damage  
22 assessment itself is fairly straightforward.

23 You know, the nature of the damage, I  
24 think, was just different. In order to translate

1 damage into repair times, it inherently relies on  
2 your experience with past events that are similar,  
3 because there is no other way to do it that I'm  
4 aware of.

5           You know, in past events, the type of  
6 damage you'd see -- and I can go by memory from  
7 1996, because I was in the field then. You'd go  
8 down a side tap, and typically you might have a wire  
9 down or something, but you could essentially just  
10 splice the wire back up into place. So the repairs  
11 to put a whole section of line back up may have only  
12 taken a few hours. Crews would go down. They'd  
13 clear some trees, they'd splice some wire. Then you  
14 would go back and re-fuse the side tap.

15           In this case the damage was just  
16 different than that. I think that's where the  
17 estimates were off. I mean, the damage was such  
18 that it could have been many sections of wire down.  
19 It was all trees, tangled up in trees, if they could  
20 find a wire. There might have been broken poles  
21 mixed in. So everything just took longer than, I  
22 think, any past experience in terms of estimating.

23           So I do think that fundamentally the  
24 estimates were off right from the beginning. If in

1 a past storm you may have had a section of line  
2 where, say, you had a broken pole or two and then  
3 certain sections of wire down, this time the damage  
4 and repair times were just longer.

5 I think Mr. Francazio could possibly  
6 corroborate, just in terms of the types of repairs  
7 that were encountered, it was really no different  
8 when they came in at the end of the storm. The  
9 repairs were significant, in terms of repair times.

10 BY MR. NELSON:

11 Q. So what -- I want to make sure I'm  
12 interpreting what you just said correctly: If, for  
13 example, on a typical storm that would come through,  
14 roads clear, you'd go out, maybe one or two breaks,  
15 you'd allocate so much for that one cutout to be  
16 fixed on a single phase, for instance.

17 A. [MEISSNER] Yes.

18 Q. In this particular case, because of the  
19 snow, road conditions, cold, what's buried, and the  
20 number may have increased from one or two to more  
21 than two, so now that time frame, because it went  
22 from one or two breaks to three or four breaks -- so  
23 now it's in a magnitude of five, for the same --  
24 what you had calculated would be less?

1           A.     [MEISSNER] The explanation I've used for  
2 people is, you know, if we were to try to estimate  
3 the amount of time it would take to rebuild -- I  
4 mean, to build a distribution system from scratch,  
5 as an example, it might take somebody weeks, if not  
6 months, to develop a credible estimate to build a  
7 distribution system, you know, even if we went out  
8 to a consulting firm. But what you're trying to do  
9 during a damage assessment is come up with that  
10 estimate in a matter of hours, to come up with an  
11 estimate in a matter of hours of how long it's going  
12 to take to rebuild an entire distribution system.

13                     So it can only actually be accomplished  
14 through some methodology in which you're, you know,  
15 comparing to past events or relying on some  
16 comparative analysis to develop what are just  
17 approximations. There's no accurate way to come up  
18 with an estimate of, say, 20,000 crew hours. To do  
19 that in true detail would take weeks or months. So  
20 you can only really develop estimates based on some  
21 type of algorithm, comparative statistics, or some  
22 other fashion.

23 BY MS. EVANS:

24           Q.     Once you had been out there a couple of



1 days -- let's say Wednesday, Thursday -- did you  
2 start taking a look at what you had estimated versus  
3 what was actually happening in the field, to adjust  
4 your estimates going forward, so that you actually  
5 had a comparison of what was really going on out in  
6 the field in this storm at that point in time?

7 A. [LETOURNEAU] That was being done on a  
8 daily basis, because what was happening is, they  
9 were developing the so-called map packages, and we  
10 would hand that to these three crews, and we would  
11 say, "We want you to go repair X, Y, and Z," and  
12 they would come back at the end of the day and say,  
13 "Okay, here's what we got done." And we were  
14 saying, "They only got this piece done." We were  
15 recognizing on that Monday, on that Sunday, that  
16 things were progressing slower than we had  
17 originally anticipated.

18 So, yes -- which is why, again, we  
19 continually tried to seek out additional resources  
20 to come onto our system to assist us with our  
21 restoration efforts.

22 BY MR. PERLMUTTER:

23 Q. I'm going to turn back a little bit and try  
24 and focus on communications with local officials. I

1 think you're aware that there were complaints from  
2 the Towns that they weren't sufficiently informed.

3 A. [MEISSNER] Yes.

4 A. [GANTZ] We can stipulate to what  
5 Mr. Perlmutter just said. Officials said that they  
6 were not sufficiently informed.

7 Q. That's not the end of my question on that.

8 (Laughter.)

9 MS. EVANS: My concern just was that you  
10 were able to answer from back there.

11 Q. Let's again start with Friday the 12th. We  
12 know that Peg Vanhillo was the communication  
13 coordinator. Did she serve as the sole municipal  
14 field coordinator for that first day?

15 A. [FRAPPIER] Could you repeat that, please?

16 Q. On Friday, the 12th, the first day of the  
17 storm, we've discussed that Ms. Vanhillo was serving  
18 as the communication coordinator for the Fitchburg  
19 service territory and that no individual had been  
20 assigned the role of municipal field coordinator and  
21 that Ms. Vanhillo was serving that function also.  
22 Is that correct?

23 A. [FRAPPIER] Ms. Vanhillo and her staff were  
24 performing communications with us -- with the

1 communities. I did attend one meeting at the  
2 Fitchburg EOC on Friday. 9:00 a.m. I think was  
3 their first meeting, after they opened their EOC.

4 Q. And what's the expectation of the municipal  
5 field coordinator in terms of contact? Are they  
6 expected to be in EOCs if the Town opens it up, or  
7 is it left open that they might operate out of the  
8 company's EOC and just have phone contact? In  
9 general, what's the understanding of how that will  
10 play out?

11 A. [FRAPPIER] I believe the municipals would  
12 prefer that we embed someone in their EOCs.

13 Q. And did early on the company realize that  
14 you were not going to be able to do that in this  
15 storm?

16 A. [FRAPPIER] That first morning in  
17 Fitchburg, when I went to that meeting, I explained  
18 to them I don't know if someone would be available  
19 for there. They informed me that they would  
20 reconvene at 2:00 o'clock, and I explained to them  
21 at that time that I didn't know whether we would  
22 have someone available to visit their EOC. But, you  
23 know, they do have our contact numbers.

24 Q. And was there a person available at all

1 times or almost all times for a municipal official  
2 to call and receive information about what was going  
3 on?

4 A. [FRAPPIER] At all times. They could  
5 contact our dispatch center, and they had the  
6 numbers -- I think they had Peg Vanhillo's contact  
7 number at that time.

8 Q. So if they wanted to speak to a senior  
9 official, senior staff person, that would be Ms.  
10 Vanhillo.

11 A. [FRAPPIER] Senior staff?

12 Q. At Unit 11, at the Fitchburg EOC.

13 A. [FRAPPIER] They were able to get to us. I  
14 don't know how many direct contact numbers they had.

15 Well, they did have four direct lines,  
16 two through the system dispatch and two into our  
17 EOC.

18 Q. And when you say "system dispatch," who  
19 were they going to speak to when they make that  
20 call?

21 A. [FRAPPIER] They would get right in to the  
22 system dispatcher, and then they would transfer that  
23 call to, either into the EOC, our storm room, or if  
24 they had a name in particular, then we would --

1           A.   [LETOURNEAU] If I could expound on this a  
2 little bit, please?

3           Q.   Let me just jump in. We're talking about  
4 elected officials and high public-safety officers.  
5 So I think there would be an expectation that they  
6 would expect to speak to someone who was well up the  
7 chain in the company. And I just want to understand  
8 who that person is, and then I want to find out the  
9 responsibilities of that person, whether it was  
10 reasonable to expect that person to fulfill all  
11 these other responsibilities and at the same time be  
12 on call to provide useful, up-to-date, and accurate  
13 information to these elected and safety officials.

14          A.   [LETOURNEAU] There's essentially two types  
15 of, what I would consider two types of, municipal  
16 communication into Fitchburg in any restoration.  
17 There's the emergency first responders. Those are  
18 the folks that are the police and the fire. And  
19 they are contacting us with information regarding  
20 wires down, things that they consider are an  
21 emergency for their municipal.

22                       Typically, that's, in any restoration  
23 that we have, that is the significant amount of  
24 communication we had with the municipals, because

1 other restorations go two days, three days. So  
2 you're dealing with municipal emergency first  
3 responders. That's what the purposes of the four  
4 numbers are. You have two numbers into our dispatch  
5 area. They call in and say, "On Elm Street I have  
6 an arcing wire at this address." We'll create a  
7 work order. It could be the emergency first  
8 responder. It could be the dispatcher for that  
9 particular town that's calling us and letting us  
10 know that.

11 In this event, because the demand for  
12 information became so great, we have wires down  
13 everywhere, what ended up occurring, which is not  
14 typical, at least from the operational perspective  
15 is not typical, is you start getting municipal  
16 officials. Now you start getting elected officials  
17 calling in. These elected officials will know  
18 various people. So I can tell you that when I was  
19 in EOC, the phone rang and I picked it up, and I'd  
20 say, "Fitchburg EOC." "Could I speak to Mark  
21 Frappier?" Some of the elected officials knew Chris  
22 Dube. They knew him by name. Chris used to have  
23 Mark's job, so Chris is well known in these  
24 municipals. That began to occur, into the storm.

1           That's when the company -- we needed to  
2 find another resource to serve that particular  
3 function. That's a function that is not often dealt  
4 with in the tactical response to a storm. You have  
5 information coming in. You have information going  
6 out to municipal officials.

7           We were performing -- we were  
8 communicating with those municipal officials through  
9 the PSA process. We were providing them with  
10 information about the restoration. That is  
11 typically what the municipal officials, the elected  
12 officials that you referred to, how you referred to  
13 them, that's the information they're looking for,  
14 versus emergency first responders.

15           So I wanted to delineate between those  
16 two because I think it's important, because one is  
17 essentially a resource looking for information or  
18 providing information to us or looking for  
19 information back on the restoration, in terms of  
20 location-specific type of information, or they have  
21 an emergency at a home, they need to access a house,  
22 and they can't get in because there's a service  
23 across the driveway and they want us to respond  
24 immediately. Those take a priority for us. If we

1 have a crew in the field and we get a call from an  
2 emergency official and we have a choice between  
3 picking up a thousand customers or responding to an  
4 emergency official who has an emergency, we're going  
5 to the emergency first. That's just how we do our  
6 restoration.

7                   So back to your question that you were  
8 asking about Peg Vanhillo: What ended up happening  
9 in this storm is, we start getting -- which was  
10 unusual -- many more calls from the elected  
11 officials -- and it wasn't just municipal; it was  
12 legislators. We were on the phone with several  
13 people from the legislative branches that were  
14 looking for other information. So they were calling  
15 in, looking for "Who has this information for me?"  
16 And that's where we started using the business-  
17 development, business-services function within our  
18 company, to start supplying them with now a person  
19 that can try to respond to those requests.

20           Q. I know we discussed this the other day: On  
21 what day did the business-services group get  
22 involved as municipal field coordinators?

23           A. [GANTZ] Saturday I reported to Fitchburg  
24 myself, and then from that point on we had either



1 myself or someone directly in the business-services  
2 group in the Fitchburg EOC serving those functions  
3 of communicating with, primarily with the elected  
4 officials or municipal officials other than first  
5 responders. We did try and maintain some -- you  
6 know, some division of responsibilities. We were  
7 working on a minute-by-minute basis with the  
8 restoration coordinator, the staff in the storm  
9 room, to provide information or get information, if  
10 it was a request about a particular street or a  
11 particular neighborhood or a particular customer.  
12 We would provide information back out about, again,  
13 the status of the restoration, using the PSA as the  
14 primary point of what we were talking about.

15           There were lots of questions about each  
16 community. This was one of the things that we  
17 learned in the process: The restoration proceeds on  
18 the basis of the system configuration and the  
19 circuit configuration, circuit numbers, and those  
20 are not necessarily well-mapped to streets or street  
21 locations. So we often had to try and find  
22 additional information. Whereas the restoration was  
23 working on a particular circuit, we needed then to  
24 figure out just what streets are on that, because

1 the people were asking was the information -- you  
2 know, wanted it by street location, because that's  
3 the way they think about things.

4 So that process of bringing additional  
5 resources in to beef up the communication to that  
6 second level of municipal contacts began on Saturday  
7 and then continued through the restoration effort.

8 And I just should simply point out that  
9 this also happened simultaneously in the three other  
10 operating areas of the company, so it was happening  
11 in New Hampshire, also.

12 Q. When I look at the functional chart in your  
13 energy restoration plan, Page 13 of Volume 2 -- and  
14 we discussed this the other day -- there aren't many  
15 positions that are identified in the chart. There's  
16 the three key positions we talked about --  
17 restoration coordinator, communication coordinator,  
18 and logistics coordinator. There's the emergency  
19 restoration manager. There's the restoration  
20 superintendent, who acts as the backup to the  
21 restoration coordinator. And there's municipal  
22 field coordinators.

23 It leads me to believe -- I think it  
24 should lead one to believe -- that this is of

1 sufficient importance that there would be, that this  
2 function would be assigned to specific people. I  
3 understand it could change throughout the course of  
4 a storm or maybe depending on the type of storm.

5 But I still don't understand -- it's not  
6 clear to me: At every point in time, when you  
7 realized the magnitude of this storm, was there  
8 someone who served as a municipal field coordinator  
9 to each of the four towns and someone whose primary  
10 function was to ensure -- and I'm not now talking  
11 about the emergency situations, because I understand  
12 that's different -- but whose primary function, or a  
13 person who understood that as important a function  
14 that they had was to make sure that if there were  
15 inquiries from the municipalities they could provide  
16 accurate, useful, and timely information.

17 I still don't understand, on Friday, who  
18 that person was. My concern was, if it was the  
19 communication coordinator, then I think we need to  
20 have a discussion of her other responsibilities.

21 So let me just start with: Starting  
22 with Friday, and then Saturday, was there a single  
23 person whose primary function, or certainly one of  
24 them, was to be available in a timely manner to the

1 four companies -- to the four towns?

2 Let's start with Friday. Was there a  
3 person other than the communication coordinator,  
4 that the person that was expected to have this as a  
5 very important part of her job?

6 A. [LETOURNEAU] I do not believe that we  
7 had -- that we had somebody identified for each of  
8 the four Towns.

9 Q. Did you have anybody identified for all  
10 four of the Towns?

11 A. [LETOURNEAU] Ms. Vanhillo's job was to be  
12 the individual handling those municipal field calls.

13 Q. Then maybe it's worth discussing a little  
14 bit her other responsibilities in the storm. What  
15 else was Ms. Vanhillo responsible for coordinating?

16 A. [LETOURNEAU] In the initial stages of the  
17 storm, she would be discussing any media calls that  
18 came in. She would be establishing her staff  
19 rotation for her -- for other folks in her  
20 operations services group that provide support to  
21 the storm. But her primary -- this is her primary  
22 role. The communications coordinator is her primary  
23 job, is communications.

24 Q. And so the company felt sufficiently

1 comfortable on Friday that she could satisfactorily  
2 communicate with municipal officials about this  
3 storm?

4 A. [LETOURNEAU] On Friday -- you know, I  
5 don't know what kind of phone calls she was  
6 receiving. I don't know. But given I hadn't heard  
7 from Fitchburg that we were getting overwhelmed with  
8 calls on Friday -- we were in the first day of an  
9 event -- I don't know if we escalated at that point  
10 to where we were just getting overwhelmed with phone  
11 calls from, again, elected officials. We were  
12 getting calls from emergency-response folks. But  
13 again, I can't speak to the --

14 A. [GANTZ] I can add a little bit to that,  
15 because my staff and I located in Hampton were  
16 involved in calls and communications throughout the  
17 day on Friday with folks involved in communication.  
18 We did have the functions centralized for the  
19 issuance of the PSAs, development and issuance of  
20 the PSAs. So I know that there were conversations  
21 between my staff and Peg Vanhillo. Any media calls  
22 that came in to her would have been referred to us.  
23 We weren't having her respond to media inquiries; we  
24 were doing that.

1           So my recollection is, you know, during  
2 the course of the day, from a communications  
3 standpoint, you know, it became increasingly clear  
4 that the demands for information were escalating,  
5 that they were at a level that we really hadn't  
6 experienced in an event like this in the past. And  
7 so we, you know, talked about what we needed to do  
8 to provide more resources. That was the primary  
9 reason that I reported to Fitchburg on Saturday  
10 morning.

11       Q.   And so is it fair to say that beginning  
12 Saturday you took over the role as the primary  
13 municipal -- as the municipal field coordinator?  
14 Did you see that as your job?

15       A.   [GANTZ] I think it's fair to say that I  
16 took on a key role in communicating with local  
17 public officials on as direct a basis as I could. I  
18 do know that the City of Fitchburg EOC had two  
19 Unitil numbers posted on their board. One was the  
20 number into the storm center. The other was my cell  
21 phone. So, you know, that was a function I would  
22 say it's safe to say that the primary point person  
23 for that had shifted from Peg Vanhillo to myself and  
24 then to my delegates during the course of the week.

1 BY MS. EVANS:

2 Q. Can I just follow up? What about the other  
3 three Towns. Now we're talking about Saturday  
4 morning. You're in Fitchburg. They have your cell  
5 phone number, which I'm assuming it's beginning to  
6 ring. What about the other three Towns? What was  
7 their situation for information for their municipal  
8 officials? Were they also calling you?

9 A. [GANTZ] In some cases yes. In some cases  
10 they were calling directly into the Fitchburg EOC,  
11 speaking to Mr. Frappier, Mr. Dube, or their staff,  
12 or in some cases the engineering staff that was on  
13 hand. When we had management personnel on the  
14 premises, many of those management personnel would  
15 be engaged in those communications. And  
16 predominantly they were phone conversations at that  
17 point, although some of the individuals who were  
18 involved in the restoration did make site visits out  
19 and make contact with public officials out in the  
20 various locations.

21 Q. Other than the first-responder calls, that  
22 Mr. Letourneau has already said that they go  
23 directly into the dispatch center, was there -- what  
24 was the direction given to the other three Towns as

1 to who their municipal officials should call to get  
2 more information? How did you tell those other  
3 three Towns, their municipal officials, who they  
4 should call, the person they should call, the number  
5 they should call?

6 A. [GANTZ] As the week progressed, my number  
7 or that of my staff who would be involved, those  
8 numbers and contact names were provided.

9 Q. When were those provided to the other three  
10 Towns?

11 A. [GANTZ] I don't remember specifically. I  
12 know it evolved. I was there on Saturday and  
13 Sunday. Cindy Carroll, director of business  
14 services, was at Fitchburg on Monday-Tuesday. I  
15 think there's a schedule that talks about what the  
16 specific assignments were.

17 And then later in the week, by  
18 Wednesday-Thursday, we had additional business-  
19 services personnel, so we had more than one  
20 individual engaged in this level of communication.  
21 I think by Thursday we had designated individuals  
22 that were reporting to the Fitchburg EOC and the  
23 Lunenburg EOC. We had a dedicated phone function  
24 just outside of the EOC area that was dedicated to



1 municipal communication. As a matter of fact, it  
2 was more than just one station. There were a couple  
3 of stations where we had people just outside the  
4 storm room that were involved in dealing with the  
5 incoming phone calls, outgoing phone calls.

6 When we had people stationed in the  
7 EOCs, we had an individual back at that workstation  
8 to be in regular communication with the individuals  
9 that were located in the EOCs. We also had  
10 extensive communication with the call center. At  
11 this point many of the calls that were coming in to  
12 public officials, being referred to us, were  
13 customer calls. So we worked with Mr. Lambert and  
14 his staff.

15 We made sure that every report that came  
16 in from a customer from whatever direction, whether  
17 it was a request for notification of a medical  
18 situation that someone was concerned about or a  
19 wire-down or more simply a request for "When is my  
20 service going to be restored?" -- all of those got  
21 entered into the system so that we had a log of that  
22 through the call center.

23 BY MR. PERLMUTTER:

24 Q. Mr. Gantz, from your responses I would get

1 the impression that this company was extremely well  
2 prepared to communicate with the municipal  
3 officials. And I guess, I'm just trying to  
4 understand: Do you think that it was just a  
5 misunderstanding on their part? I mean, it's clear  
6 that they were telling us they did not receive good  
7 information in a timely manner, and yet with all the  
8 discussion we've just had, all your statements, I  
9 would reach the conclusion that no, these full  
10 channels were available and that the problem really  
11 was more on their side than yours.

12 Tell me why, if I've reached that wrong  
13 conclusion --

14 A. [GANTZ] I would not agree with that  
15 characterization.

16 Q. Tell me why?

17 A. [GANTZ] We were struggling with a very  
18 difficult situation, because the demands for  
19 communication were in excess of the resources that  
20 we had available to respond to those. For example,  
21 we had requests from Fitchburg and Lunenburg early  
22 in the week for embedding personnel in the EOCs,  
23 which we could not do. We had delays in being able  
24 to respond to phone calls because we had too many

1 calls coming in, too many requests for information.

2 Q. Let me just stop you for a second. I'm  
3 sorry. Did you speak to a municipal official in  
4 each town at least once a day?

5 A. [GANTZ] Let me -- let me put it this way:  
6 Our communication efforts were predominantly  
7 reactive in dealing with the municipalities.

8 Q. Which means that you would wait for them to  
9 call you, and then you would get back to them when  
10 you were available, if you weren't available at the  
11 time?

12 A. [GANTZ] That's a more orderly way of  
13 describing it than actually existed on the ground.

14 Q. Then tell me how it existed on the ground.

15 A. [GANTZ] The request -- a call would come  
16 in, a number of different possible routes that it  
17 might get to me or one of my staff. It would be a  
18 request for information or providing information or  
19 a complaint or some reference to a specific  
20 customer. Sometimes that would be a voicemail.  
21 Sometimes it would be an email. Some research would  
22 need to be done, in some cases contacting folks in  
23 the storm room to try and generate information --  
24 you know, "What's the status of the circuit? You

1 know, what can we say? What do we know?"

2 And then there would be a process of  
3 trying to get back to that person with that  
4 information. That was often the way the process  
5 worked. But it might be -- that individual might  
6 have made a couple of tries to contact someone.  
7 They might have tried a couple of different phone  
8 numbers. So there's a level of frustration involved  
9 in that interchange.

10 And then the information going back,  
11 sometimes it took time, sometimes it had delays.  
12 Sometimes it was a different person calling back  
13 than the person that had taken the initial call.

14 In addition, as your questioning has  
15 identified, the information that we were  
16 providing -- for example, early in the week, when we  
17 finally had the estimated restoration of primary  
18 circuits up by the end of the week and over the  
19 weekend -- through the course of the week, people  
20 expected to see more progress in the streets. They  
21 expected to have visual contact with crews.

22 So the types of information that public  
23 officials were requesting was, the information that  
24 we were providing was not satisfactory. You know,

1 we had an estimate that was in place for a period of  
2 days that said the restoration would be  
3 substantially complete by and through the end of the  
4 weekend. As the course of the week progressed, that  
5 became, you know -- the confidence in that went  
6 down, both in terms of the public officials as well  
7 as our own confidence. We didn't have detailed  
8 information on when specific circuits would come  
9 back.

10 So it was a very -- it was not a  
11 satisfactory communication process either from the  
12 company's standpoint or from the municipal  
13 officials' standpoint.

14 Q. Let me ask you this question: Only the  
15 company knew the status of their system, and the  
16 public officials were relying on you to tell them  
17 the real status of the system. Did you provide them  
18 the best information that the company had on the  
19 status of the system, the uncertainty about when  
20 you'd even understand the damage that happened, the  
21 uncertainty associated with when it might be  
22 restored -- other than the PSAs, which we discussed  
23 the other day just say "anticipates it will take  
24 days"?

1                   So the question I'm asking is, do you  
2 think that you provided them accurate information,  
3 the kind of information that was being discussed in  
4 your center, about what was happening on the system?

5           A.   [GANTZ] We provided the best information  
6 we had available at the time. The information --

7                   Part of the problem is that the  
8 information being discussed in the storm center is  
9 technical information that public officials aren't  
10 familiar with and don't necessarily understand and  
11 also don't have the context for.

12          Q.   Let me interrupt for a second. They would  
13 understand, "This damage is so extreme" -- and the  
14 discussion we had this morning clearly leads to this  
15 conclusion, as far as I'm concerned -- "The damage  
16 is so extreme that it is difficult to tell you when  
17 power will be restored." Did you ever say that on  
18 Saturday and on Sunday, when I would think, based on  
19 this discussion, the company had reached that  
20 conclusion, that it would be hard to project when  
21 restoration would occur?

22                   I understand you use your projections to  
23 estimate. But did you ever tell a senior public  
24 official the fact that, "Based on this damage, it is

1 very difficult to really tell you when power will be  
2 restored"? Did you have a conversation like that?

3 A. [GANTZ] Yes. But in hindsight, I would  
4 say we did not do an adequate job at describing the  
5 extent of the devastation, the extent of the damage,  
6 and being able to convey the severity of the impact  
7 on the system.

8 Q. And when you say "in hindsight," I want to  
9 explore that a little bit, because I could  
10 understand better in hindsight, you know, you didn't  
11 have enough crews and in hindsight you didn't have  
12 damage assessors trained, because once you're in a  
13 situation, you can't do anything about it. But I  
14 don't really see in hindsight why you didn't convey  
15 to them the best information you had.

16 So I'll ask directly: At times did you  
17 keep information from public officials that you knew  
18 to be the truth about the status of your system?

19 A. [GANTZ] Never, absolutely never.

20 Q. And did a public official ever ask in a  
21 communication whether the company really knew what  
22 was going on in its system, whether it was aware of  
23 the extent of the damage and what it would take to  
24 bring power back? Did a public official ever ask

1 you in sort of that direct a manner?

2 A. [GANTZ] Yes.

3 Q. And what was your response?

4 A. [GANTZ] "We're doing our best. We're  
5 working as hard as we can."

6 Q. I want to be -- I'm sorry.

7 A. [GANTZ] That's the answer. That was the  
8 answer.

9 Q. Well, no, that's the answer to a different  
10 question. That's the answer to, "How is the company  
11 doing? What are you doing?" "We're working hard."

12 But if the question was, "Does the  
13 company understand the extent of the damage? Does  
14 the company understand what it would take to  
15 restore?" I would assume, and not being a public  
16 official, I don't know, that they would say, "As a  
17 public official, we need to know that, because we  
18 need to manage internally, outside of the utility,  
19 but within the Town's structure, our rescue  
20 efforts."

21 If they asked you -- did they ask you  
22 that question?

23 A. [GANTZ] I'm trying to paraphrase a context  
24 into a hypothetical exchange, but I think it's a



1       useful exercise to do that.

2                       Yes, they would ask, you know, "What do  
3       you know? What can you tell me? How much do you  
4       know?" And as you indicated, we would say, you  
5       know, "We're not sure. We know it's a significant  
6       event, and we know it's going to take days. We  
7       don't have an accurate estimate. We have crews out  
8       there working. We're seeking additional resources."

9                       We were very honest about not being able  
10       to get additional resources. We were honest about  
11       saying that "The restoration is sequential. We're  
12       still working on the transmission system. We're  
13       trying to get the transmission system back so we can  
14       energize the substations and get a better sense of  
15       what the rest of the system is going to involve."

16                      So we were as honest as we could be, as  
17       straightforward as we could be -- never any attempt  
18       to mislead or not provide the best information that  
19       was available.

20               A.     [MEISSNER] I just wanted to add a little  
21       bit, and Mr. Dube is welcome to add some as well.  
22       But just listening, I have some observations.

23                      I think during the week everybody at  
24       this table at various times had conversations with

1 public officials, emergency officials, and so forth.  
2 So everybody has their own perception.

3 I think part of the problem that came  
4 up -- and there was probably several -- but  
5 operationally, information was not available to give  
6 people of the specificity they were looking for.  
7 There was a lack of specificity about the  
8 information. People -- I don't think they really  
9 wanted to know whether it was going to be days or  
10 weeks. They wanted much more specific information  
11 than that, and there was an inability to provide  
12 that information. I think that that's clear.

13 I think also saying that you couldn't  
14 provide the information wasn't adequate, either. It  
15 almost became a situation where there was no good  
16 answer, and therefore anybody having these types of  
17 communications were on the defensive because they  
18 couldn't provide an answer that was satisfactory to  
19 the other -- to the person asking the question.

20 I think that's speaking to what George  
21 is trying to say. It was just a difficult position.  
22 Unless you can provide information of value that  
23 satisfies what the person is looking for seeking the  
24 information, it's not going to be a good exchange.

1 During the course of the week I think it's fair to  
2 say we were not able to satisfy the type of  
3 information that people were looking for.

4 BY MR. NELSON:

5 Q. Did it improve at some point, or was it  
6 constantly that same scenario all the way through  
7 the storm?

8 A. [MEISSNER] The problem I think that we had  
9 is we put those estimated times of restoration out  
10 there, and we believed that. That was based on good  
11 information. When we did not meet those restoration  
12 times, I think the company lost credibility. There  
13 was no -- and I specifically recall, when National  
14 Grid came in and we did another assessment at that  
15 point, but nobody would believe any more  
16 projections, we lost credibility when we missed  
17 those ETRs. Once you lose that, you can't regain it  
18 in the process any more.

19 So I think by the end of the week, in  
20 terms of communication, it was something that we  
21 couldn't save.

22 Q. This is going to back up a little bit to a  
23 conversation on previous days, when you mentioned  
24 the T-1 line that went out, that you lost one of the

1 three T-1 lines.

2 A. [GANTZ] Yes. That was at the call center,  
3 and I think it was Mr. Lambert.

4 Q. What area did that one T-1 line serve? Was  
5 it central? Was it the two New Hampshire ones, or  
6 was it the Fitchburg area?

7 A. [LAMBERT] I can speak to that. The T-1  
8 line that went out served all customers, New  
9 Hampshire and Massachusetts customers. So as any  
10 customer would come in -- we have a centralized call  
11 center that handled New Hampshire customers and  
12 Massachusetts customers -- the available lines that  
13 they would come in on would be randomly selected  
14 among all of them. As a T-1 line would go out for  
15 23 available lines, it affected all customers.

16 Q. So did it affect one area more than  
17 another?

18 A. [LAMBERT] No, I don't think you can  
19 characterize it that way. It was just -- it was --  
20 it would affect them probably all as they were  
21 calling in.

22 MS. EVANS: We're going to take a lunch  
23 break at this point in time. We'll be back on at  
24 2:00 o'clock. At 2:00 o'clock we would like to

1 switch up the panel a little bit and do questions on  
2 billing and possibly the call-center-type questions  
3 at that point in time. So we'll go off the record.  
4 Thank you.

5 (Recess for lunch.)

6 MS. EVANS: Let's go back on the record.  
7 We're going to continue our cross-examination of the  
8 company's panel of witnesses after the lunch break.  
9 We're going to jump to a new subject. We're going  
10 to talk about billing and those types of customer-  
11 related activities.

12 We have some new people on the bench  
13 here. We have Paul Osborne, who is one of the  
14 assistant directors of the Rates and Revenue  
15 Requirements Division; Joslyn Day, who is assistant  
16 director of our Consumer Division; and Tom Carey,  
17 from our Rates and Revenue Requirements Division.

18 I believe Mr. Osborne is going to start  
19 the questioning.

20 BY MR. OSBORNE:

21 Q. Good afternoon. Just for some foundation  
22 questions on where I'm going to be going this  
23 afternoon: We've talked about the company's AMI  
24 system. I believe that stands for Advanced Metering

1 Infrastructure?

2 A. [MEISSNER] Correct.

3 Q. As I understand, the AMI system was  
4 installed during the period from 2005 through 2007,  
5 with a little bit of construction done and  
6 installation in 2008; is that also correct?

7 A. [MEISSNER] That's correct.

8 Q. And this is the way by which the company  
9 reads the meters through the power lines.

10 A. [MEISSNER] Yes.

11 Q. If I could turn to Mr. Lambert for a  
12 moment. If you could turn to the company's response  
13 to Exhibit DPU-FGE-4-1.

14 Actually, let's look at FGE-4-4 instead,  
15 because that has more of the areas that I'm  
16 interested in. Just let me know when you're there.

17 A. [LAMBERT] I'm there.

18 Q. First of all, this explains how the company  
19 estimates bills that for whatever reason cannot be  
20 read through the AMI system.

21 A. [LAMBERT] Yes.

22 Q. As I understand it, under typical  
23 conditions, that would be like if there's some  
24 defect with the AMI meter or some other condition

1 that makes it impossible for the meter to talk to  
2 the company's equipment?

3 A. [LAMBERT] Yes, that's correct, where the  
4 billing department will have an automated feed with  
5 the automated metering system, the AMI system. That  
6 would look at actual reads on a daily basis, and  
7 upon the billing cycle where they would normally get  
8 a read -- on the 30th day, as an example -- the  
9 system would grab that actual usage, that actual  
10 reading, and bill that.

11 Q. So even though the system collects the  
12 daily meter-reading data or can read it, it only  
13 grabs the reading for that particular meter on its  
14 scheduled meter-reading cycle?

15 A. [LAMBERT] It does, it does with the  
16 exception, if for whatever reason an actual reading  
17 was not provided on that day. If a reading was not  
18 provided for that day, the program has been adjusted  
19 to look back, quote-unquote "look back," up to 300  
20 calendar days. So it was looking for a reading on  
21 the 30th day to bill that and one was not available,  
22 it would go back to the day prior, and if there was  
23 one available, it would bill that read for the 29  
24 days. And then if one was not available there, it

1 would look back to the next actual read and bill the  
2 28th. And it would actually go back one further, to  
3 look at the 27th day, in this example.

4 Q. And if there's no data on that 27th day of  
5 the month, that's when the estimated billing process  
6 kicks in?

7 A. [LAMBERT] That's correct.

8 Q. And this is all done automatically, without  
9 human intervention?

10 A. [LAMBERT] That's correct. It is.

11 Q. I was having a little bit of a problem  
12 grasping, or at least being able to articulate, what  
13 the meter-reading schedules in December are and what  
14 relationship they have with the estimated billings,  
15 which I understand some of those estimated bills  
16 were out to up to as many as 34 days. And so if you  
17 could help me, explain that, then it would make it  
18 easier for us to write the order.

19 A. [LAMBERT] Mr. Yardley had a set in the  
20 self-assessment that bills were up to 34 days. For  
21 our estimating process, in December, when the  
22 majority of the estimated bills were sent out, those  
23 readings were generally not for up to 34 days. The  
24 34 days more came into play upon the January



1 schedule, when an actual reading was obtained, and  
2 that was based on normal read schedules, where we  
3 have a reading schedule in December, which is always  
4 complicated in December; with holidays and the way  
5 weekends fall, it at times bills customers for 30  
6 days or even less than that in December, and  
7 therefore 32 days, or 33 days, or even up to 34 days  
8 in January, to make up for the usage not billed in  
9 December.

10 Q. So it's not December where 34 days becomes  
11 an issue but more in the following month.

12 A. [LAMBERT] Yes, in this example, that's  
13 what happened more.

14 Q. And that's because, as you said, of the way  
15 holiday schedules work, with the four days of the  
16 meter readings?

17 A. [LAMBERT] Correct.

18 Q. It's my understanding that the company in  
19 its estimated-billing process, they only use that  
20 approach for residential accounts, whereas for  
21 commercial accounts they will -- and I believe that  
22 may be confined to just customers with demand  
23 meters -- I believe that the company actually does  
24 some sort of manual calculation. Is that accurate?

1           A.   [LAMBERT] Yes, typically, we don't want to  
2 estimate, it's not our general practice to estimate  
3 a demand read, because once that demand read is lost  
4 and it resets, it start over for the next month. So  
5 it's very difficult to estimate or to produce an  
6 actual demand reading after it's reset -- unlike a  
7 non-demand reading, where if you estimate it one  
8 month or you estimate it on the high side or on the  
9 low side, you will be able to reconcile that under-  
10 or overusage in the following month. Demand, it's  
11 difficult to do that.

12           Q.   And that's because of the characteristics  
13 of demand and how it applies in the company's rate  
14 structure?

15           A.   [MEISSNER] I can maybe answer that. I  
16 think the issue is, when we estimate kilowatthours,  
17 they're not estimates where you lose information.  
18 They always reconcile the next month and you never  
19 lose any information. Demands are typically reset  
20 monthly. When they're reset, the information is  
21 lost.

22                       So we don't want to estimate  
23 information, that you lose information used in the  
24 billing process.

1           A.   [LAMBERT] So the reading -- the meter  
2 would look for the peak 15-minute interval, and  
3 after the billing period, like Mr. Meissner said, it  
4 would reset, and you'd look for the next peak  
5 15-minute period the following month.

6           Q.   Okay, thank you. In this response there's  
7 some discussion about the cost or effort that would  
8 go into going out and doing, what would be a manual  
9 override of the process by which the company  
10 estimates bills. I just wanted to follow up a  
11 little bit with that.

12          A.   [LAMBERT] Could you, excuse me, point to  
13 me where that is in this request?

14          Q.   It may not be in this exhibit. It may be  
15 in the one that I had in mind earlier.

16                   It's in 4-2.

17                MS. PURCELL: Mr. Osborne, the first  
18 sentence of the one we were on a minute ago talked  
19 about -- the first sentence of No. 4 of Subpart A  
20 goes to I think what we were looking at.

21                   MS. EVANS: Off the record for a moment.

22                   (Discussion off the record.)

23                   MS. EVANS: Back on the record, please.

24          Q.   I think we won't have to look at the data

1 response on this one, then. As I understand from  
2 reading the self-assessment report and the data  
3 responses in this proceeding, the company had sent  
4 out estimated bills to the customers as if there had  
5 been electric consumption during the time that their  
6 power was out. As I understand, it was done just  
7 automatically through the company's billing system,  
8 without any intervention on the company's part?

9 A. [LAMBERT] Well, I wouldn't entirely  
10 characterize it that way. The storm --

11 Q. In this case, I'd like to hear that.

12 A. [LAMBERT] The storm had hit on the evening  
13 of the 11th. And the first bills that were actually  
14 sent out to customers which included manual  
15 intervention was on the 16th. And what we did there  
16 was, we did not have in those cases a good reading  
17 that we could bill from. So what we were doing was  
18 to look for, if the system were to come back -- if  
19 the system were to come back and if the system were  
20 to come back, perhaps we could hold the bills, we  
21 could get the system back, and then bill based on  
22 actual readings.

23 But a decision was made on the 16th to  
24 not continue to wait, because it was becoming

1 evident to us that the system was not going to be  
2 back quickly. And one of the rationales -- the  
3 rationale that I used to do that was to avoid  
4 customers from receiving a very large -- if I didn't  
5 send bills out in December, I was looking at  
6 customer frustration in January, to get one bill for  
7 two months of usage.

8           So I was weighing that, and knowing full  
9 well that, like I've said, that customers receiving  
10 estimated bills at any time of the year, and  
11 especially during this storm as well, they were  
12 frustrated. They were very frustrated to receive  
13 estimated bills, especially for, as an example, 30  
14 days, based on 30 days of usage, when perhaps they  
15 used less than that or they had power for less than  
16 that.

17           They further became frustrated, however,  
18 in January, when they received an actual bill -- for  
19 actual usage, I mean -- and that usage was not as  
20 low as they thought it should be, as they were  
21 expecting it to be.

22           Q. And why would that be? What would be the  
23 factors behind their expectation of a lower bill in  
24 January? I suppose it would depend on the date of

1 service that their bill covered, depending on their  
2 meter cycle. But I was just wondering if there was  
3 something else.

4 A. [LAMBERT] It's hard for me to talk to why  
5 a customer would think that. But I could say that  
6 customer-service representatives' response when they  
7 first started getting phone calls from customers who  
8 received an estimated bill were that they did not  
9 have to pay the estimated bill or they could pay a  
10 portion of the estimated bill that they thought was  
11 fair. As an example, if they were out of power for  
12 six days of the 30-day bill, they could pay, I don't  
13 know how my math is, but four fifths of the bill, if  
14 they thought that was fair, or they didn't have to  
15 pay for any usage.

16 But I could speak to some of the  
17 customers' frustration in January, upon receiving an  
18 actual bill. It got very cold. I could only  
19 anticipate why their usage was up. But they  
20 essentially looked at a -- and they thought that  
21 this perhaps was another estimated bill, that the  
22 January bills were based on actual reads, and --  
23 it's hard for me to tell why their usage was up.  
24 But they were frustrated that it wasn't as low as

1 they thought it was going to be.

2 A. [GANTZ] If I could add: I think one of  
3 the factors that's important to realize is that we  
4 had through the storm and the storm restoration  
5 clearly lost the confidence of a lot of our  
6 customers. Many were angry. Many were frustrated.  
7 Many got an estimated bill; some 4,000-plus got an  
8 estimated bill. That didn't make them happy; it  
9 made them more upset.

10 So I think there was an atmosphere that  
11 developed in part because of the loss of confidence  
12 in the company at that point that led to a high  
13 agitation level, if you want to call it that, among  
14 customers. So anything that they remotely thought  
15 missed their expectations or seemed to be something  
16 that they didn't understand fed the frustration, fed  
17 the anger, and really led to an extraordinarily  
18 difficult period of time for the call center to deal  
19 with customers who were calling in. So January in  
20 particular was a very difficult time.

21 The other factor, as Mr. Lambert said,  
22 is January tends to be a slightly longer number of  
23 days in the cycle. You know, all of those factors  
24 just went the wrong way. So customers were very

1 frustrated and very angry. And there were lots of  
2 calls that came out of that. And many of these were  
3 escalated calls, customers that maybe didn't like  
4 the answers they were hearing. You know, to be  
5 told, well, that bill is the actual one, but that's  
6 the one that they thought was going to be lower --  
7 you know, there was a lot of frustration, difficulty  
8 in understanding, and it led to a difficult period  
9 in our customer relations.

10 BY MS. EVANS:

11 Q. If I could follow up, Mr. Gantz: Did the  
12 company include any kind of message on the December  
13 or January bills, any kind of bill insert or any  
14 kind of communication to its customers with its  
15 bills from the December bill, the estimated bills,  
16 and the January bill, explaining the bills,  
17 explaining why the bills had to be estimated, other  
18 than the standard language that folks might not tend  
19 to read, because it's the standard language that  
20 they see every month? Did the company include any  
21 additional communications with these bills to  
22 explain to customers what was going on?

23 A. [LAMBERT] In December we did not issue --  
24 we did not insert any inserts or bill messages



1 regarding estimated bills. Looking at that now, if  
2 in the future we see the need, that in December we  
3 could have put in better language about estimated  
4 bills.

5                   However, in January we did put a message  
6 in there that did deal with more standard language,  
7 that your bill may have been estimated due to the  
8 storm, we applied it to the storm, and it was  
9 indicating that if you had questions to call the  
10 call center and that their usage would be reconciled  
11 upon receiving an actual reading. That's what we  
12 did in January.

13           Q.    I'm sorry to interrupt. Was that message  
14 on the bill, or was that message as an insert into  
15 the bill envelope?

16           A.    [GANTZ] That was on the bill.

17           Q.    Do we have on the record of what that  
18 January bill said? I don't think we do.

19           A.    [LAMBERT] I don't think so, but I do have  
20 one, and I could make it as an exhibit.

21           Q.    Is that an actual customer's bill? Do we  
22 need to cross out customer information on it?

23           A.    [LAMBERT] Yes.

24                   MS. PURCELL: Why don't you just show it

1 to me.

2 Q. I'm interested in seeing what kind of  
3 communications have been made to customers regarding  
4 these bills, to set their expectations.

5 A. [GANTZ] If I could just add: In January  
6 with all bills we did send all customers a letter  
7 from our CEO, Bob Schoenberger. I think that may be  
8 in the record as part of the -- it might have been  
9 also issued as a PSA, so it might be in there. But  
10 I don't recall that there was any reference to  
11 estimated bills in that letter, but that's something  
12 that we could check on as well.

13 Q. And that was a separate piece of paper in  
14 the envelope with the bills?

15 A. [GANTZ] That was a separate piece of  
16 paper, yes.

17 Q. While counsel is looking at this bill: How  
18 difficult is it for the company to insert a message,  
19 a nonstandard message, on the bill itself?

20 A. [LAMBERT] It's not difficult to do that.  
21 It's in terms of preparation, to design the insert  
22 and then physically get it printed and provide that  
23 to our mailing vendor to insert it.

24 Q. What about on the bill itself, though, not

1 a separate piece of paper? You know, you see your  
2 bill sometimes has a message inserted right onto the  
3 bill itself.

4 A. [LAMBERT] I'm sorry, as a bill message  
5 itself, it can be done that day, to be included on  
6 the next day's bills.

7 MS. PURCELL: Can I just consult with  
8 the witnesses for a second?

9 MS. EVANS: Yes. Why don't we go off  
10 the record for a moment.

11 (Discussion off the record.)

12 MS. EVANS: Let's go back on the record.  
13 Counsel has just handed me a copy of a bill that was  
14 issued, billing date 1/08/09, that includes the  
15 message that the company inserted into its bills  
16 regarding the ice storm. I'm going to mark this for  
17 identification as Exhibit Unit 10.

18 (Exhibit FGE-10, marked for  
19 identification.)

20 Q. Perhaps Mr. Lambert could explain more  
21 fully what exactly it is we are looking at on this  
22 bill.

23 A. [LAMBERT] In terms of the message?

24 Q. In terms of identifying what period the

1 bill covers.

2 MR. MUELLER: Could Mr. Lambert refer to  
3 it?

4 A. [LAMBERT] This is a bill dated January  
5 8th, 2009. It states that the due date is February  
6 2nd, 2009. It's for the service period of December  
7 3rd, 2008, through January 5th, 2009.

8 Q. And that would include the period of the  
9 storm; is that correct?

10 A. [LAMBERT] That's correct. And this is  
11 based on actual readings, this particular bill.

12 Q. And could you, just so we all hear it,  
13 could you read the message that the company included  
14 on this bill regarding the ice storm.

15 A. [LAMBERT] Sure. "Due to the recent ice  
16 storm and power outages in our service territory,  
17 your bill may be estimated, as we were unable to  
18 obtain an actual reading. If your bill has been  
19 estimated, it was based on last year's usage. The  
20 bill you receive next month will reflect your actual  
21 usage less any usage that was previously estimated."

22 And then there was another message that  
23 talked about a rate change that was approved for  
24 January. Would you like me to read that as well?

1 Q. No, that's not necessary.

2 But this bill, you said, was -- this is  
3 an actual-read bill; is that correct?

4 A. [LAMBERT] That's correct.

5 Q. So this message talks about an estimated  
6 read, but this bill is actually after the point of  
7 the estimated reads. This is when you're reading  
8 the actual usage again. Is that correct?

9 A. [LAMBERT] That's correct. Our billing  
10 system does not have the ability -- it has the  
11 ability to target bill messages based on rate class,  
12 by customer class, but it does not have the ability  
13 to differentiate bill messages by whether a customer  
14 received an actual or an estimated read. So that's  
15 why this message went out to all customers.

16 Q. But it did not go out with the estimated-  
17 read bills in December; is that correct?

18 A. [LAMBERT] That's correct. It did not.

19 Q. Could this possibly have caused some  
20 confusion, if I've got an actual-read bill with this  
21 estimated-bill-read language on it?

22 A. [LAMBERT] It did cause confusion with this  
23 bill message because customers who had received an  
24 actual read in January were frustrated that -- they

1 were thinking that their usage would be lower, but  
2 in addition, they were thinking that their bill also  
3 was estimated. So it was an explanation by the  
4 representatives.

5 MR. STETSON: Could we go off the record  
6 for a second?

7 MS. EVANS: Off the record.

8 (Discussion off the record.)

9 MS. EVANS: Let's go back on the record.  
10 We still have a couple of questions about this bill  
11 that we've marked for identification purposes as  
12 Exhibit FGE-10. Mr. Stetson had a couple of very  
13 good questions.

14 MR. STETSON: This is a bill for a  
15 customer who -- do you know whether or not they had  
16 an estimated bill in December or an actual bill in  
17 December?

18 WITNESS LAMBERT: This particular  
19 customer?

20 MR. STETSON: Yes.

21 WITNESS LAMBERT: I don't know. I don't  
22 know.

23 MR. STETSON: The language that you're  
24 talking about that's in the message included on this

1 bill that's post-January 1st, '09, you're saying it  
2 would not have been included on any of the either  
3 estimated or actual bills that went out in December?

4 WITNESS LAMBERT: No, it would not.

5 And back to your first question, too:  
6 Like I said earlier, this customer I would suspect  
7 got an actual bill, because their last bill was much  
8 prior to the storm. It was early December.

9 MR. STETSON: And the ones that did  
10 receive estimated bills, what was the time frame  
11 that the estimated bills went out as a result of the  
12 storm outage?

13 WITNESS LAMBERT: Between -- the first  
14 bills that went out from the storm were on the 16th  
15 of December. I don't know -- it didn't continue  
16 until the last customer was up, because the  
17 communications system started to come up as the  
18 restoration was going through. So as the  
19 communications system came up from the restoration,  
20 we started to get actual reads.

21 MR. STETSON: But if a customer was out  
22 on, say, the 19th, and that was -- their billing  
23 cycle was up as of that date, they got an estimated  
24 bill?

1 WITNESS LAMBERT: They did get an  
2 estimated bill, yes.

3 MR. STETSON: And there was no language  
4 on there explaining the basis for the estimate; is  
5 that correct?

6 WITNESS LAMBERT: That's correct.

7 MR. STETSON: The first time they saw  
8 anything explaining how their December bill was  
9 estimated was on their January bill.

10 WITNESS LAMBERT: That's correct. But  
11 the bill also -- and all estimated bills are  
12 marked -- for each service, next to the reading,  
13 it's indicated next to the reading with an E, for  
14 "estimate." In addition to that, the word  
15 "estimate" is spelled out next to the service period  
16 for each service. So if electric were estimated in  
17 December on the 19th, in that example, it would say  
18 an E, and in addition, it would also say the word  
19 "estimate" next to where the usage was. And that's  
20 how a customer who received estimated bills in  
21 December, even without a bill message, would know  
22 that this was an estimated bill. And that procedure  
23 is the procedure that we use for all periods, for  
24 all normal periods.



1                   MR. STETSON: But there wouldn't be the  
2 kind of explanation that you have here.

3                   WITNESS LAMBERT: No, there was not.

4                   MR. STETSON: And they wouldn't see that  
5 until January.

6                   WITNESS LAMBERT: That's right. And one  
7 thing that we had recognized was, this was a source  
8 of frustration for customers. Although customers  
9 were not billed for usage they did not use, we  
10 recognize that this, in addition to normal  
11 periods --

12                   Estimating is a very confusing model or  
13 a very confusing thing for customers. It has been.  
14 It was particularly confusing in this case.  
15 Customers were frustrated.

16                   And one thing the company wants to do is  
17 to work with the Consumer Division to determine if  
18 there's a better estimating model, if there's a  
19 better way to estimate customers for situations like  
20 this that could occur in the future.

21                   And in addition to that, if and when a  
22 situation were to occur in the future, if we're in  
23 the middle of a storm or we're about to face a  
24 storm, is to also consult with the Department, to

1 say, "It looks like we have a situation," and  
2 consult with the Department on how we want to go  
3 forward with estimated bills or actual bills.

4 MR. STETSON: Maybe you can get some  
5 guidance in this order.

6 Thank you for allowing me to clarify.

7 MS. EVANS: Thank you, Mr. Stetson.  
8 Mr. Epler, you wanted to say something?

9 MR. EPLER: I was just going to point  
10 out, to see the meter-reading cycles that were  
11 affected by this. If you would turn to DPU-FGE-4-1,  
12 it has all the meter-reading cycles.

13 MR. OSBORNE: And these would be Cycle  
14 11 through Cycle 21?

15 MR. EPLER: Yes, that's what the  
16 response indicates.

17 MR. OSBORNE: Thank you.

18 MS. EVANS: We'll take that exhibit back  
19 in a moment. Maybe we'll finish our questioning, in  
20 case anyone else from the Bench has more questions  
21 about that bill, and then we could take that bill  
22 back as an exhibit.

23 BY MR. OSBORNE:

24 Q. Mr. Lambert, as I understand, from what's

1     been marked for identification as Exhibit FGE-4-4,  
2     there were approximately 4300 customers who received  
3     estimated bills during the month of December of  
4     2008. I would presume most of these occurred  
5     because of the meter-reading cycle in conjunction  
6     with the ice storm. Is that a fair statement?

7           A.   [LAMBERT] That's a fair statement.

8           Q.   How many estimated bills does the company  
9     typically send out? I have some information here  
10    for January, but I just want to make sure I'm not  
11    still blending in any of the residual effects of the  
12    storm's damage.

13          A.   [LAMBERT] And your question is typically  
14    what the company sends out?

15          Q.   Typically, considering you've got the AMI  
16    system. I would imagine that theoretically 100  
17    percent of meters would be read on an actual basis,  
18    but I understand that there may be some -- that may  
19    not be -- that's a number of perfection, and we know  
20    that perfection doesn't exist.

21          A.   [LAMBERT] In Data Response, also the same,  
22    DPU-FGE-4-4, Subsection C, we had answered a  
23    question that in December of the previous year,  
24    2007, that the company sent out 154 estimated bills,

1 which represented roughly .6 percent of the total  
2 meters. In January of 2008 it was 296 estimated on  
3 the electric side, and that represented 1 percent.

4 Q. So for the -- at least on the electric  
5 side, the number of estimated bills as a percentage  
6 of total bills, the numbers you've provided just now  
7 and in this data response, you would consider these  
8 representative of the company's year-round  
9 experience with estimated bills?

10 A. [LAMBERT] I would consider that normal  
11 after we put in the AMI system. One of the benefits  
12 of the AMI system was to avoid customer confusion by  
13 receiving estimated bills, and this system has done  
14 that.

15 Q. Now, I notice that there were many more gas  
16 bills that had gone out on an estimated basis during  
17 these two months here.

18 A. [LAMBERT] Right.

19 Q. Even though there are fewer gas customers  
20 than electric customers. Is there some reason for  
21 that, such as maybe the gas metering system was  
22 still in the process of being completed?

23 A. [LAMBERT] Well, I'm not sure why. On the  
24 gas side, what the gas side does, it has a separate

1 module, gas module, that communicates through the  
2 electric module, and both of those readings,  
3 electric and gas, are transmitted to our billing  
4 system ultimately, for billing. I'm not sure why  
5 this was higher, the percent higher, than the  
6 electric side.

7 A. [GANTZ] I can add: There are two  
8 communities we provide gas service to where we do  
9 not provide electric service. So those do not have  
10 the AMI metering configuration that Mr. Lambert --

11 Q. Those would be the Towns of Gardner and  
12 Westminster?

13 A. [GANTZ] Correct.

14 Q. And so that may be a factor in why the  
15 number of gas meters may be estimated? There may be  
16 more of them estimated?

17 A. [GANTZ] I think that's probably the case.  
18 The other factor is, there may be some situations  
19 with gas meters that -- I know there has  
20 traditionally been more of a problem with inside  
21 meters on the gas side and difficulties in terms of  
22 can't get in -- need to read meter, can't get in,  
23 CGI codes.

24 So I suspect -- Mr. Lambert would know,

1 but I suspect if we went back historically, we would  
2 tend to have more problems with gas meters being  
3 unable to be read than electric meters.

4 Q. Okay, because the electric meters tend to  
5 be on the outside.

6 A. [GANTZ] Yes.

7 A. [LAMBERT] I also believe, there may have  
8 been a data response that reviewed percentage of gas  
9 estimated bills even prior to 2007 and 2008, and I  
10 wanted to see where that compared to, once we put in  
11 the AMI system, did it improve it. I thought that  
12 there was a data response on that.

13 Q. If it's in there, we'll come across it.  
14 But would it be fair for me to conclude that the  
15 estimated gas meter readings are representative of  
16 the company's experience on a month-to-month basis?

17 A. [LAMBERT] I wouldn't necessarily say that  
18 6 percent and 5 percent represent the norm. This  
19 represented -- these figures represented a very  
20 specific month, December and January, 2007 and 2008.  
21 I'd have to look back and see if in fact that  
22 represented the norm.

23 Q. So there may be something else, other than  
24 statistical noise, going on here.

1           A.     [LAMBERT] That's correct, yes.

2           Q.     In this exhibit that we've been looking at,  
3     DPU-FGE-4-4, there are approximately 4300 estimated  
4     bills that had gone out on the electric side during  
5     December of 2008. And in what's been marked for  
6     identification as Exhibit DPU-FGE-4-9, I see a  
7     reference to 4300 customers. I just want to make  
8     sure that what's in DPU-FGE-4-9 is just relating to  
9     the number of electric customers. Can you confirm  
10    that for me?

11          A.     [LAMBERT] Well, I can't confirm that.  
12    It's difficult -- because the company bills both  
13    electric and gas service on one bill, that although  
14    4,359 estimates on the electric side went out in  
15    December, many or most of that -- 2,090 gas  
16    estimations appeared on the same bill as the  
17    electric. So as a customer got billed an estimated  
18    for electric, they also got billed an estimated for  
19    their gas.

20                   In 4-9 I said 4300 customers, so that  
21    was 4300 customers. But it was probably the same  
22    customer -- in many cases it was the same customer  
23    on one bill that received both an estimated electric  
24    reading and an estimated gas reading.

1 Q. So I shouldn't necessarily draw the  
2 conclusion that we're talking about the same subset  
3 of customers here; is that correct?

4 A. [LAMBERT] Just to clarify: I think in  
5 many cases, what I was trying to say was, it does  
6 represent the same customer. If I read 4300  
7 electric estimated readings and then 2,090 gas  
8 estimated readings for the same month, that could be  
9 the same, one customer getting both reads. I  
10 separated it out in meters being estimated versus --  
11 and in another context it was bills.

12 Q. Oh, I understand you.

13 Now, in DPU-FGE-4-9 we're talking about  
14 a little over \$1.3 million in the amount billed in  
15 December. Does that relate to both gas and electric  
16 service?

17 A. [LAMBERT] Yes, it does.

18 Q. I just wanted to confirm what I thought it  
19 was from the response here.

20 Now, of the 4300 or so customers who  
21 received estimated bills, going back for a moment to  
22 what's been marked as Exhibit DPU-FGE-4-4, on Page 3  
23 of that response, I see some information about high-  
24 bill inquiries and general bill inquiries that were



1 received by the company. These high-bill inquiries  
2 and general bill inquiries, as I understand from the  
3 response, these do not include calls regarding  
4 estimated bills?

5 A. [LAMBERT] These numbers would include  
6 callers who were calling with a complaint, a  
7 high-bill inquiry or a general bill inquiry, on a  
8 general bill, on an estimated bill.

9 One thing I had said in the response  
10 was, estimated bill inquiries are not specific --  
11 are not specifically tracked. We were unable to  
12 differentiate between the two.

13 Q. So they may be falling within the high bill  
14 or general bill?

15 A. [LAMBERT] That's right. The question was  
16 how many estimated complaints, and I was unable to  
17 differentiate that.

18 Q. Now, of the 4300 customers, we can agree  
19 that a number of them had contacted the company, as  
20 you state, and that customer-service representatives  
21 informed these customers that they could pay some  
22 lower amount that they thought was reasonable. What  
23 about customers who didn't make any calls to the  
24 company? Would there be any way for those customers

1 to have gotten that same information?

2 A. [LAMBERT] No.

3 Q. Like this person who just took the bill and  
4 automatically paid it, or maybe the person who just  
5 tucked the bill aside and....

6 A. [LAMBERT] No. To answer your question,  
7 no. However, one thing that we made a decision to  
8 do very early on was that all disconnection  
9 proceedings were -- all disconnection procedures  
10 were ceased for customers who were eligible to be --  
11 who would fall into that situation. So the company  
12 was not sending shutoff notices -- was not sending  
13 the shutoff notices, was not doing disconnections  
14 during that period.

15 To answer your question: No, we did not  
16 proactively notify them. I'm not sure about Mr.  
17 Schoenberger's --

18 A. [GANTZ] We did have -- in Volume 2 of the  
19 report filed February 23rd -- I don't remember the  
20 exhibit reference on there, the Utili storm report.  
21 In Tab 6 we did issue a statement to the public on  
22 estimated bills dated 12/29. So there was a public  
23 effort to provide information about the process of  
24 estimated bills, and I believe we provided either

1 that or similar information at both of the public  
2 hearings that happened later in Fitchburg and  
3 Lunenburg. We certainly talked -- I know I talked  
4 extensively to public officials and the media about  
5 the estimated bills, essentially providing the same  
6 information about how we do it and what the process  
7 is.

8 So there were other channels of how that  
9 information was getting into the public.

10 Q. Including being able to contact the company  
11 if a customer had a concern about their estimated  
12 bill?

13 A. [GANTZ] Yes.

14 BY MS. EVANS:

15 Q. And you're talking about Page 164, the  
16 notice that appears on Page 164 of Volume 2 of your  
17 February 23rd report?

18 A. [GANTZ] Yes. I believe the information  
19 provided at the public hearings was a bit more  
20 extensive. As I recall, it was more than just a  
21 couple of paragraphs.

22 Q. You had some kind of handout; is that  
23 correct?

24 A. [GANTZ] There was a handout, yes.

1 MS. EVANS: Is that in the record here?  
2 I don't think it is.

3 MR. EPLER: I thought it was made a  
4 record at the hearing. That's my recollection, is  
5 that I gave it to Ms. Cellucci.

6 MS. EVANS: Would you like to provide a  
7 copy for the record in here? Exhibit FGE-11.

8 A. [GANTZ] As I recall, there were two fact  
9 sheets. They might have been on either side of the  
10 same piece of paper. One was on estimated bills,  
11 and I recall the other being on the claims process.

12 MS. EVANS: Would you like to mark both  
13 of those as FGE-11?

14 MS. PURCELL: Sure.

15 MR. STETSON: The company is going to  
16 produce that?

17 MR. MUELLER: Yes, we will produce that.

18 THE REPORTER: It hasn't yet been  
19 marked?

20 MS. EVANS: We are marking it for  
21 identification purposes only. We do not have a copy  
22 in hand, but it will be Exhibit FGE-11.

23 (Exhibit FGE-11, to be marked for  
24 identification.)

1 BY MR. OSBORNE:

2 Q. I'd like to turn to Mr. Gantz for a few  
3 moments here. If you could look at the company's  
4 response to Exhibit DPU-FGE-4-10.

5 A. [GANTZ] I have that.

6 Q. And as I understand that, the company made  
7 some sort of analysis of its estimated bills that  
8 were sent out in December of 2008 and did some  
9 adjustments to the company's revenue accounts.  
10 Could you explain more about this process and what  
11 the company did here, just so I can continue writing  
12 about it?

13 A. [GANTZ] What I know is exactly what's  
14 stated in the record response. As part of the year-  
15 end accounting close process, which would occur in  
16 approximately early to mid-January, the company  
17 normally does a standard analysis of the unbilled  
18 revenue. There's a specific accounting process  
19 associated with the booking of unbilled revenue for  
20 the month.

21 In addition, in this month, there was an  
22 analysis of the estimated bills that went out and an  
23 attempt to identify the amount of consumption that  
24 was reflected in those bills but was not actually

1 consumed in December because the power was out.

2           So it was an accounting calculation to  
3 attempt to make sure that the company's bookings of  
4 revenues for the year 2008 were as accurate as  
5 possible. There's a sentence here that indicates,  
6 "The adjustment was calculated by determining  
7 historic average daily customer usage during the  
8 same period in the prior year, multiplying the  
9 average daily usage times the estimated number of  
10 outage days included in the estimated bill, and  
11 multiplying by the average delivery billing rate for  
12 December 2008."

13           So I would characterize it as an  
14 over-the-top estimate of what the aggregate effect  
15 was estimated to be on the company's revenues.

16       Q. And it wouldn't be designed to track  
17 precisely what the effect was on individual  
18 customers but more for the company's accounting  
19 books, to more accurately recognize the revenues  
20 that had been earned at that point.

21       A. [GANTZ] That's my understanding, yes.

22       Q. Are there any workpapers or other  
23 documentation of the calculations that underlie that  
24 billing adjustment -- or, sorry, that revenue

1 adjustment?

2 A. [GANTZ] I would expect there are. It  
3 would be the accounting folks at Unitil that would  
4 need to identify that and produce it. We would need  
5 to consult with them in terms of the availability of  
6 such a workpaper.

7 Q. I'd like to do that as a record request:  
8 to the extent that such documentation is available,  
9 for the company to provide all workpapers,  
10 calculations and assumptions underlying the year-end  
11 accounting closing process that was done related to  
12 the estimated bills that were sent out in December  
13 of 2008.

14 MS. EVANS: That will be Record Request  
15 DPU-4.

16 (Record Request DPU-4.)

17 Q. Do you understand the record request as  
18 I've posed it?

19 A. [GANTZ] I do.

20 Q. Did the company at the time they made the  
21 revenue adjustment make any corresponding entries on  
22 its accounting books for the regulatory liability  
23 that would be associated with that revenue  
24 adjustment?

1           A.   [GANTZ] I'm not sure what regulatory  
2 liability you'd be referring to.

3           Q.   It would be more in the sense of the  
4 company's accounting for the unbilled revenues -- I  
5 think it may be in -- unbilled revenues may be  
6 booked to Account 186. Don't hold me to that  
7 particular accounting number. I'm more familiar  
8 with certain other industries for that. But there  
9 would have been some accounting entries that were  
10 done to recognize the billing adjustment -- the  
11 revenue adjustment that was made.

12          A.   [GANTZ] My understanding is, there was an  
13 appropriate accounting for unbilled revenue as part  
14 of the year-end close and, in addition, an  
15 adjustment downward to revenues based upon the fact  
16 that there was a certain amount of revenues that  
17 were billed on estimated bills that we know was for  
18 energy that was not consumed in December, and  
19 therefore that revenue should not be recorded in  
20 December. And that's the workpaper that we will  
21 provide.

22          Q.   And would those journal entries be then  
23 included as part of that response to the record  
24 request?



1           A.   [GANTZ] I think we can make sure that the  
2 journal entry you're referring to specific to the  
3 amount of revenue that was included in estimated  
4 bills which the company subsequently identified as  
5 associated with consumption that did not occur in  
6 December and therefore there's a reduction in that  
7 revenue -- we'll make sure that that response  
8 provides the explicit journal entries that are  
9 associated with that adjustment.

10          Q.   Thank you. Now, seeing that the company  
11 was able to make these calculations for the end-of-  
12 year accounting closing process, that happened in  
13 early January, just for the record, could you  
14 explain why the company was not able to do that  
15 earlier, like during the ice storm itself? I have a  
16 sense of the answer, but again, I need to have it in  
17 the transcript.

18          A.   [GANTZ] I can. As I characterized it, the  
19 accounting calculation is an over-the-top  
20 calculation, and, you know, an estimate of that type  
21 can be prepared at a point in time if you have the  
22 right data and you look at it and you do an  
23 analysis. I think, you know, that information would  
24 be generally available, say, on a monthly basis.

1                   But the more specific kind of  
2                   calculation that I think you mentioned earlier would  
3                   be where you do that kind of a calculation for a  
4                   single customer at a time, where you have a single  
5                   customer, the meter reading was unavailable, so then  
6                   you have to for that particular customer look at the  
7                   number of days in the billing cycle, look at the  
8                   number of days that particular customer was out of  
9                   service, and then do a precise calculation of what a  
10                  more accurate estimated bill would be in that case.

11                 That is a very time-consuming process,  
12                 one that would have to have been done manually,  
13                 because you cannot program a billing system on the  
14                 fly.

15                 In addition, that data was simply not  
16                 available. The data on each customer, the length of  
17                 outage for each customer was not available in the  
18                 CIS system or the AMI system.

19                 So data was not available to do the  
20                 calculation. The calculation would have had to have  
21                 been done manually, and that would have required an  
22                 extraordinary deployment of resources to do, you  
23                 know, 4300 individual bill calculations in a period  
24                 of time when the company's resources were fully

1 deployed to the restoration of the storm response.

2 A. [LAMBERT] And in addition to that, even  
3 with those efforts, we may not have been able to  
4 obtain a more accurate estimate.

5 Q. Understood. A last point on this matter:  
6 Would it be fair for me to conclude from this that,  
7 to the extent that customers paid the estimated  
8 bill, that the company would have gotten in some  
9 sense of the word an interest-free loan from its  
10 customers? I don't mean it in a gratuitous way.

11 A. [GANTZ] I understand the question, and I'm  
12 familiar with the ratemaking process, and so I  
13 understand the concept.

14 It is fair to say that for some portion  
15 of revenues the company may have received some  
16 portion of revenues earlier than they would have  
17 otherwise received them because they issued the  
18 estimated bills that didn't factor in the somewhat  
19 lower consumption that might actually have applied.  
20 So that's a fact.

21 Q. And that may be the same as may occur with  
22 any estimated bill that's issued at the end of the  
23 reporting period?

24 A. [GANTZ] The thing that might be a little

1 bit more complex is -- there are different  
2 components of the bill that fall into different  
3 ratemaking mechanisms, and the answer might be  
4 somewhat different for the different mechanisms, and  
5 I wouldn't know how to --

6 Q. For example, the pension/PBOP  
7 reconciliation mechanism, for one?

8 A. [GANTZ] That's for one, default service  
9 for another, cost of gas. All of those have  
10 different ratemaking implications.

11 Q. Thank you.

12 BY MS. DAY:

13 Q. Good afternoon. My questions are probably  
14 most directed to Mark Lambert, regarding the call  
15 center and customer communications and relations  
16 during the storm.

17 In Unitil's February 23rd report it  
18 indicated that during the storm it had 68 available  
19 lines for incoming calls. Could you please clarify  
20 for me whether those 68 lines were exclusively for  
21 the call center, or were they companywide?

22 A. [LAMBERT] Those 68 lines that we're  
23 referring to are for just inbound call-center lines,  
24 for just the call center.

1 Q. So the company has private lines or  
2 corporate lines, other lines reserved for -- maybe  
3 you can elaborate what other lines the company has.

4 A. [LAMBERT] Yes, that's correct. There are  
5 other lines that are reserved for the corporate  
6 office, for other operations. We've talked about  
7 telephone lines, that municipal officials would call  
8 and talk to Mr. Frappier's group directly. All the  
9 lines I just referred to are in addition to the 68  
10 for just the call centers and available for  
11 customers.

12 Q. And I understand in your testimony that as  
13 of February 20th of 2009 the company has added  
14 additional lines for the call center and as of July  
15 1st you'll have a total of 137 lines for the call  
16 center; is that correct?

17 A. [LAMBERT] That's correct.

18 Q. Has the company done any analysis to  
19 determine the number of customer-service  
20 representatives that will be needed to handle those  
21 incoming lines?

22 A. [LAMBERT] Yes, the analysis tool that we  
23 use takes into consideration historical information.  
24 So you wouldn't necessarily have the same number of

1 representatives per line.

2 Certainly the 137 lines would carry  
3 traffic in different ways, call traffic in different  
4 ways. It would allow essentially 137 simultaneous  
5 calls. Some of those callers would get into the  
6 system, communicate with the IVR, report their  
7 outage ticket in this example, and that would be a  
8 very short call. Some customers would not go  
9 through that, would pick an option to speak to a  
10 representative, which would be a little bit longer.

11 So what we use is -- how we determine  
12 numbers of trunks, numbers of lines, and numbers of  
13 representatives, we go through a call-center  
14 analysis tool that looks at historical values, it  
15 looks at planned peak values, it looks at average  
16 call-handle time, which would be representative talk  
17 time plus any after-call work time, and it would  
18 factor in desired service levels -- as an example,  
19 if we're looking for 80 percent answered in 20  
20 seconds, this is how many representatives you would  
21 need to handle that peak volume and this is how many  
22 trunks you would need to handle that peak volume.

23 Q. So does the company anticipate hiring  
24 additional staff in your call center?

1           A.   [LAMBERT] The company has hired nine  
2 additional staff, as we've stated, to answer  
3 telephones as required for our Northern Utilities  
4 acquisition. Those customer-service representatives  
5 are in place. In addition to those, the customer-  
6 service-representative staff is always -- we add six  
7 additional representatives each year to handle the  
8 additional calls after the winter moratorium period  
9 ends -- because the number of telephone calls and  
10 the length of those calls typically increases after  
11 that time.

12                   I can just state, those nine  
13 representatives that I talked about with the  
14 acquisition of Northern Utilities, and in addition  
15 to temporaries, were present, were available and  
16 trained for the December storm. We were not taking  
17 Northern Utilities calls during the storm, and still  
18 to the present day we still aren't taking their  
19 calls. So these representatives are available for  
20 Unitil calls.

21           Q.   And in Unitil's February 23rd report,  
22 there's a chart that displays that there were 75  
23 hours from December 12 to December 25th in which  
24 more calls were received than could be handled by

1 your call center. Did the call center capture data  
2 on the number of calls that came through during that  
3 75-hour period?

4 A. [LAMBERT] As stated in Mr. Yardley's self-  
5 assessment report, we were unable to determine by  
6 our vendor, PAETEC, exactly the number of calls that  
7 were blocked.

8 If I could expand upon that answer:  
9 There are two types of blockage, call blockage, that  
10 customers experience and customers in this  
11 particular storm experienced as well. Customers  
12 were experiencing fast busy signals when they picked  
13 up the phone and tried to call Unitil. They also  
14 experienced recordings. After you hear that strange  
15 tone, I think, and it says all circuits are busy,  
16 I'm sure there were several different variations of  
17 that recording.

18 But those two types of events, those  
19 recordings and the fast busy signal, would be  
20 indicative of a customer not even being able to get  
21 into the Unitil phone network. We talked about 137  
22 lines or trunks. Those two conditions that I talked  
23 about are not indicative of a customer -- the 138th  
24 caller trying to get in.



1           So there was blockage before it got to  
2   our network, and I would imagine -- and I cannot  
3   speak for our telephone vendor. But like a  
4   telephone company and like a call center, where we  
5   have to go through an analysis tool to determine how  
6   many trunks we would need to staff for a peak event,  
7   I would just imagine that phone vendors would have  
8   to do the same. I think Mother's Day, when it's a  
9   high phone-call volume, perhaps they size it  
10   differently. But when an outage hits, that's a very  
11   unpredictable event, and I'm imagining that that had  
12   happened.

13           The other kind of busies were the slow,  
14   what we would determine as like a normal busy. That  
15   would be indicative of a customer -- in our  
16   particular case, we had 68 working lines. The 69th  
17   caller to call in simultaneously would have received  
18   a slow busy.

19       Q.   So a customer that called into the call  
20   center and got blocked, would that impact your  
21   corporate numbers -- say, the designated telephone  
22   numbers for fire, police, Commission staff? Would  
23   that have affected those lines as well?

24       A.   [LAMBERT] No, it would not have. Those

1 customers who had the telephone numbers -- I think  
2 we talked about four numbers that went out to  
3 emergency personnel in the Towns and certain local  
4 officials -- those numbers are in addition to and  
5 separate from the 68 that I talked about.

6 Q. Still in regards to your call-center  
7 management system: Does the company track the  
8 number of calls that actually were received in the  
9 call center but were not blocked due to congestion  
10 but were unanswered by a customer-service rep? So  
11 you have your answer rate, what you were able to  
12 answer. Do you know what was abandoned, what  
13 actually came in came in that was not able to be  
14 answered by your agents?

15 A. [LAMBERT] Yes, we do. I believe that was  
16 provided in a data response.

17 Q. I saw the calls answered but I didn't see  
18 the number unanswered, or the abandon rate. Do you  
19 know what data request that was?

20 A. [LAMBERT] I don't off the top of my head.  
21 But I know it was a data request that provided -- it  
22 had asked for such as abandoned calls, if I recall.  
23 We'll find that, if we can take a moment.

24 Q. On the date February 17th, in which you

1 have one of your three T-1 circuits failed for a  
2 24-hour period: What time of day did that period  
3 occur?

4 A. [LAMBERT] Just to clarify: Was that  
5 December 17th?

6 Q. December 17th. I'm sorry. According to  
7 your February 23rd report, you indicate that on  
8 December 17th one of your three T-1 circuits failed.

9 A. [LAMBERT] I was not sure of the time that  
10 that had failed. The way we had discovered that we  
11 did have a failure -- and in Mr. Yardley's  
12 self-assessment, it said it was likely -- as we were  
13 trying to estimate when that T-1 circuit was down  
14 was approximately 24 hours. We were first starting  
15 to become aware of more and more busy signals.

16 So we started to investigate. And it  
17 became difficult to determine if one was out,  
18 because at some points you would get through, on the  
19 good channels, and then times you would get a busy  
20 and you were trying to distinguish between if this  
21 was a normal busy, was it a normal situation. At  
22 the same time simultaneously we involved our vendors  
23 in that analysis.

24 Q. So were you alerted to the issue from

1 customers calling in that got busy signals, or is  
2 that something --

3 A. [LAMBERT] That's correct. We were --  
4 that's how we first became aware of it.

5 If I could add, too: In one of the  
6 recommendations that we had talked about was --  
7 because the ultimate resolution was our vendor, our  
8 PBX vendor, Siemens, had to fully get dispatched to  
9 come out and unseat a card, a circuit card, that  
10 handled this T-1 circuit, and then just physically  
11 plug it back in and it started to take phone calls.

12 One thing that we had recognized was a  
13 need to have proactive monitoring of our system, all  
14 of our systems. So what we have done already, and  
15 that will be completed this year, is the  
16 implementation from our vendor Siemens to go and do  
17 a full NOC monitoring. I don't know what that  
18 stands for. I'm sure "network" is in there. That  
19 is a tool that will proactively look at all circuits  
20 within all of our systems, all of our buildings, all  
21 of our facilities, and would be able to sit back and  
22 say, "You have notified us that there is a problem,  
23 there was a problem. I fixed it. There's a  
24 problem. We're dispatching a technician. The

1 technician will be there." So rather than having to  
2 rely on customers to receive busies and report  
3 those, this will be a proactive tool that we'll be  
4 able to use going forward.

5 Q. Was there any communication with customers  
6 during this time period regarding problems with your  
7 phones or the lines being congested during the 12th  
8 through the 25th? Were there PSAs that contained  
9 information about phone problems or inability to get  
10 through?

11 A. [GANTZ] I can check. I don't remember  
12 offhand. I do remember it was a point of  
13 conversation in some of the media interviews I had,  
14 asking for patience, reminding people to call.

15 I can also -- and we did identify this  
16 in the self-assessment: The difficulty of the call  
17 center in meeting the demands for customer calls led  
18 to an overflow situation, where customers were  
19 having difficulty getting through. They got through  
20 in some cases. They got information that they  
21 didn't feel was adequate. They became frustrated.

22 So we ended up having to deploy what I  
23 might call a secondary customer-service operation,  
24 because these customers would find any Unitil phone

1 number and they'd call it. So we had people serving  
2 in a customer-service capacity at the corporate  
3 headquarters and in any of the locations where there  
4 was a public, you know, until published phone  
5 number that had become available to the public.

6 In addition, we had walk-in traffic that  
7 we were fielding at our corporate headquarters. So  
8 we had this kind of secondary customer-service  
9 function taking place to try and deal with some of  
10 the overflow -- and also customers increasingly  
11 calling public officials, which became -- made their  
12 job a lot more difficult. And that was part of the  
13 reason for the increased traffic of contacts from  
14 public officials to the company during the course of  
15 the storm.

16 Q. And just a couple other questions: The  
17 role of the EOC employees to communicate customer  
18 concerns or to listen, empathize with customers:  
19 Were those employees communicating with the call  
20 center about those concerns or restoration efforts  
21 that consumers were calling about? Can you  
22 elaborate on the role of EOCs?

23 A. [LAMBERT] Sure. I can say that when  
24 customers went to report their situation by either

1 walking in or talking directly with staff in the  
2 EOC, that that information would be taken down and  
3 would be communicated up to certain representatives,  
4 certain customer-service representatives, who were  
5 working on the Web. So they were not tied up with  
6 inbound phone calls. They were working on answering  
7 Web requests. They would be available to take these  
8 concerns, make sure that the report was in the  
9 system, that a ticket was generated, and would do  
10 any additional follow-up that was required with the  
11 customer.

12 Q. And when did the company first provide  
13 employees to the EOC? Do you know what date that  
14 was?

15 A. [GANTZ] To the Fitchburg and Lunenburg  
16 EOCs?

17 Q. Yes.

18 A. [GANTZ] It's in the record. I believe  
19 that was on Thursday we began doing that -- although  
20 there were personnel that visited the Town EOCs on a  
21 regular basis through the early part of the week.

22 A. [LAMBERT] If I could also add: On your  
23 request for abandoned calls, we have that data  
24 request, which was DPU-FGE-2-40. I had answered the

1 request. The request was to describe the system  
2 used and to include all the telephone answering  
3 statistics, including response times, abandoned  
4 calls. In addition to that, there's an attachment  
5 of a chart that went with that.

6 Q. Thank you. I just want to focus now, a  
7 couple of questions, on the billing and the  
8 estimated, if I could, Mr. Lambert.

9 A. [LAMBERT] Sure.

10 Q. In DPU-FGE-4-2, Unitil responded regarding  
11 electrical usage could spike during the first day's  
12 usage after power has been restored following an  
13 outage due to the impact of appliances working to  
14 reach normal operating temperatures. Does the  
15 company have any data as to approximately how much  
16 energy would be required to operate appliances after  
17 an outage?

18 A. [LAMBERT] No, we don't. You know, that  
19 question -- customers were reporting back to us and  
20 had that complaint. That information customer-  
21 service representatives were providing to customers  
22 represented a very temporary spike. I'm not an  
23 engineer on it, but it could be very short-lived, an  
24 hour or two, of the entire billing cycle where usage



1 would spike to get, you know, boilers, to get  
2 temperatures in the home back to normal. But I  
3 believe it's called a cold-load pickup.

4 A. [MEISSNER] That's what we call it in  
5 operations, yes.

6 A. [LAMBERT] That's what that represented.  
7 But it represented just a very short time where  
8 appliances would start back up.

9 Q. In your experience in the high-bill  
10 inquiries that you received, did you see unusual  
11 spikes based on actual meter readings when the  
12 company was able to get reads for customers --

13 A. [LAMBERT] I can't speak exactly to the  
14 customers. But I do know that there were cases  
15 where when the AMI system came back on line and you  
16 started to receive daily usage, that you would  
17 see -- you would see usage on the first day.  
18 Customers were really asking a lot of questions:  
19 why their usage was so high, why could this have  
20 happened? In many cases the representatives were  
21 talking about actual readings.

22 So the representatives were throwing --  
23 were providing customers with possibilities. I  
24 think one of the spiking -- could spike to get

1 temperatures back up or appliances, refrigerators to  
2 get to the desired temperature was an answer.  
3 Sometimes you would see, you know, a daily usage  
4 that would be higher than other days, and I think  
5 representatives were offering that.

6 Q. Is that daily usage that's recorded in the  
7 AMI provided or shared with the customer when a CSR  
8 talks with them? Is that something that's  
9 available --

10 A. [LAMBERT] It is verbally. We do not have  
11 a mechanism to provide it every day to the  
12 customers.

13 Q. But if the customer calls in, the rep will  
14 share with them, "On specific days this is what your  
15 consumption was based on the AMI reading"?

16 A. [LAMBERT] Yes, that's correct. And the  
17 representatives also take this information and put  
18 it into an electronic format at times and send it to  
19 customers or email it to customers as well for  
20 backup. So customers get a better handle of how  
21 their usage tracked throughout the month.

22 A. [MEISSNER] If I may add one clarification,  
23 which I believe is how it works: If a customer  
24 experienced an outage for five days and the AMI

1 system then sent a reading into the billing system,  
2 that first reading is going to be a reading of five  
3 days. It's going to be all the information for that  
4 five-day period. You've lost the daily information,  
5 essentially.

6 So just as an example, if a customer was  
7 using 20 kilowatthours a day, was out for five days,  
8 that first reading will be 100 kilowatthours and  
9 then the next day will be back to 20 again. I just  
10 wanted to add that clarification.

11 MR. STETSON: Excuse me, that's if the  
12 meter was out for those five days. If the usage --  
13 if they were totally out --

14 WITNESS MEISSNER: I'm saying, if the  
15 power was out -- you are correct -- there would be  
16 no consumption.

17 MR. STETSON: If the meter was out, they  
18 would have consumption and it would be read as a  
19 cumulative first read.

20 WITNESS MEISSNER: Correct.

21 A. [LAMBERT] But there were times where the  
22 power went out and it was out for five days, and  
23 then the customer's power was restored but the  
24 communications to the AMI system may not have been

1 up at that time. So in that particular case, you  
2 know, the power was on, we didn't have  
3 communications so we couldn't see the reading, and  
4 then upon seeing the first reading it may have been  
5 representative of two days -- in an example like  
6 that.

7 Q. In DPU-FGE-4-4 the chart at the bottom of  
8 the page shows that Unitil received -- well, first  
9 of all, can I ask you to differentiate for me the  
10 headings High Bill Inquiries versus General Bill  
11 Inquiries? Can you give me an example of a general  
12 bill inquiry?

13 A. [LAMBERT] Sure. The representatives would  
14 enter this code as a call type in the billing  
15 system. I'm sure if a customer were to call up and  
16 immediately start saying, "I've got a high bill,  
17 you've overbilled me and I'm confused, I'm upset  
18 about this high bill," the representatives would  
19 issue that as a high-bill call type.

20 Sometimes customer calls would start off  
21 by saying, "I just have a question on my bill," and  
22 would go down the road and perhaps would turn into a  
23 high-bill inquiry but the customer-service  
24 representative started off by saying general billing

1 inquiry.

2           So for purposes to help answer that, I  
3 did not want to not include one or the other,  
4 because they could both be representative of a  
5 high-bill complaint. That's why I included both.

6           Q. I notice there's many more general billing  
7 inquiries than high-bill inquiries, and I know that  
8 the company rendered a lot more estimated bills in  
9 the month of January and December. So I'm just  
10 wondering: Can that be attributed to more calls  
11 about estimated bills? I'm just wondering why the  
12 general-bill-inquiry number is so much higher than  
13 the high-bill inquiry. I'm trying to get a better  
14 sense of....

15           A. [LAMBERT] I'm not sure if you could  
16 characterize it that way.

17           I don't have an answer. I wanted to  
18 capture it just because customer-service  
19 representatives may not in all cases put the correct  
20 call type in. These two call types would be able to  
21 cover any kind of billing inquiries for an actual  
22 bill or an estimated bill. So I'm not sure why one  
23 would be higher than the other.

24           Q. Just a couple more questions and I'll be

1 done. In the February report Unitil testified that  
2 it made options available to customers disputing  
3 their December estimated bill. One option was not  
4 to pay the estimated bill until the next month, when  
5 the actual meter reading came in. Correct?

6 A. [LAMBERT] Correct.

7 Q. Or to pay a partial payment based on what  
8 they thought was fair for that month. And this was  
9 communicated to customers when they called in to  
10 dispute the bill --

11 A. [LAMBERT] That's correct.

12 Q. -- and also on the bill message?

13 A. [LAMBERT] That's correct.

14 Q. When did the company establish this policy?  
15 When did you make customers aware of the policy? Do  
16 you remember what date that was?

17 A. [LAMBERT] We were just trying to recall.  
18 I don't have the exact date. But as we could  
19 recall, it was on or about the 29th, the time that  
20 we issued that PSA that Mr. Gantz had referred to  
21 earlier.

22 A. [GANTZ] Just to add: The sequence that I  
23 recall was, during the storm event there weren't a  
24 lot of bill inquiries coming in. People were

1 talking about other things. It was after Christmas,  
2 after Christmas when calls started coming in about  
3 the estimated bills. In response to those first  
4 calls, you know, I recall Mr. Lambert and I  
5 conferring about this issue and making that -- his  
6 recommendation, making that judgment. And then he  
7 went ahead and conveyed it to the reps immediately,  
8 and then we began providing information about that  
9 publicly.

10 Q. And the bill message started with the  
11 January bills; is that correct?

12 A. [LAMBERT] That's right.

13 Q. And do you know how many customers selected  
14 either option?

15 A. [LAMBERT] I don't. I don't. Nor did we  
16 track that.

17 Q. One last question: In DPU-4-1, or the  
18 response, it may have been, you listed 11 cycles in  
19 December that were affected by the storm which I  
20 believe you estimated.

21 A. [LAMBERT] Correct.

22 Q. And your chart on Page 3 of DPU-4-4 shows  
23 that 955 electric bills were estimated in January.  
24 Were there cycles in January that also were affected

1 by the storm?

2 A. [LAMBERT] Yes, there were. I don't know  
3 what cycles those are. But I could say: One thing  
4 that, as a company, that became very important in  
5 January was to target those customers that received  
6 an estimated bill in December, that they would not  
7 receive an estimated bill in January, that they  
8 would not receive two estimated bills in a row.

9 So of those customers that received  
10 estimated bills, approximately 57 received another  
11 estimated bill in January. So of the 4300, only  
12 approximately 57 received an estimated bill in  
13 January. And those are what we really concentrated  
14 hard on, to avoid any further confusion with those  
15 customers.

16 Q. One final question: This is in response to  
17 DPU-FGE-4-4, Section B, where the company's response  
18 indicates that no credits were issued. And in the  
19 response to the Attorney General, 1-4, Unit 1  
20 indicated that it had total billing adjustments for  
21 the outage of \$12,734.31. I'd like to know, what  
22 were those billing adjustments attributed to?

23 A. [LAMBERT] Those had represented customers  
24 who called upon receiving an estimated bill from



1 December, and we offered -- the customer-service  
2 representatives offered them options to pay a  
3 portion of the charge or to pay nothing. Those had  
4 represented largely customers who would not take  
5 that advice and said, "I want you -- I was out of  
6 power for five days. I want you to rebill me for 25  
7 days rather than 30." So we would make adjustments  
8 on those accounts. We had to make adjustments such  
9 as that.

10 Q. So you would rebill the account on an  
11 estimate based on your regular estimating model, not  
12 having an actual meter reading yet? Is that what  
13 you're telling me?

14 A. [LAMBERT] I'm not sure -- I'm not exactly  
15 sure how that was done, if it was looked at at  
16 the -- you know, using the last actual read or if we  
17 just factored in the customer's input of five days  
18 and provided them with what we thought was --

19 You know, perhaps we took an average  
20 daily consumption and took that and multiplied it  
21 times the 25 days, as the example, and billed them  
22 for that. In a case like that, we would still keep  
23 it as an estimated bill, though, because it wasn't  
24 based on an actual.

1 Q. So when you got the actual reading, which  
2 would verify what was actually consumed on the  
3 meter, what would --

4 A. [LAMBERT] It would reflect --

5 Q. Would it cancel out the adjustment? I  
6 guess that's what I'm asking.

7 A. [LAMBERT] It would then reflect -- in all  
8 cases the actual read in January would then reflect  
9 the actual consumption that the customer used  
10 between the estimated bill -- or from the very first  
11 start of the period of the estimated bill to the  
12 January reading.

13 A. [MEISSNER] All customers were billed  
14 actual consumption. Right?

15 A. [LAMBERT] Yes. At the end of the day, all  
16 but -- for all those customers who got an actual  
17 bill, it was based on actual consumption.

18 Q. Thank you.

19 MS. EVANS: Mr. Carey?

20 BY MR. CAREY:

21 Q. Gentlemen, good afternoon. It's tough to  
22 follow Paul Osborne, because he does such a thorough  
23 job. I'd like to talk with Mr. Francazio.

24 A. [FRANCAZIO] Yes.

1 Q. Were you employed by Unitil during the 2008  
2 ice storm?

3 A. [FRANCAZIO] I was not.

4 Q. Where did you work during the 2008 ice  
5 storm?

6 A. [FRANCAZIO] I was at National Grid.

7 Q. And what was your title?

8 A. [FRANCAZIO] I was the vice-president and  
9 director of emergency planning at the time.

10 Q. Are you familiar with an agency,  
11 Massachusetts Emergency Management Agency?

12 A. [FRANCAZIO] I am.

13 Q. When you were with Grid, did Grid send a  
14 person, employee, to the MEMA monthly meetings?

15 A. [FRANCAZIO] We did.

16 Q. With the exception of August, because  
17 August they didn't have one.

18 A. [FRANCAZIO] Okay.

19 Q. Why would National Grid send someone to  
20 MEMA?

21 A. [FRANCAZIO] To coordinate the State  
22 emergency-response activities with that of National  
23 Grid's emergency response center.

24 Q. And you used the phrase the other day

1 "tabletop exercise."

2 A. [FRANCAZIO] Correct.

3 Q. Would you say MEMA does tabletop exercises,  
4 such as hurricane preps, tornado preps?

5 A. [FRANCAZIO] I had participated in some  
6 myself, yes.

7 Q. Was National Grid represented at MEMA by a  
8 representative from National Grid during the 2008  
9 ice storm?

10 A. [FRANCAZIO] It was.

11 Q. Thank you. I believe this question is for  
12 Mr. Letourneau. If not, please help me out. Are  
13 you familiar with the Massachusetts Emergency  
14 Management Agency?

15 A. [LETOURNEAU] I am.

16 Q. Are you aware that the Massachusetts  
17 Emergency Management Agency has monthly meetings 11  
18 times a year?

19 A. [LETOURNEAU] I am not.

20 Q. You are?

21 A. [LETOURNEAU] I am not.

22 Q. Mr. Gantz, were you contacted by the  
23 Massachusetts Emergency Management Agency at any  
24 time during the 2008 ice storm?

1           A.   [GANTZ] I don't know if I was contacted  
2 directly or if it was another member of the team  
3 that was working on the ice storm, but I know there  
4 were contacts with MEMA during the ice storm.

5                   MR. MUELLER: I believe Mr. Sprague has  
6 a response to that, and he's been sworn.

7           Q.   Mr. Sprague?

8           A.   [SPRAGUE] It was almost on a daily basis  
9 that we were having discussions directly from our  
10 storm room primarily with Mr. Nelson, who was  
11 located at the MEMA emergency center.

12          Q.   So were you working nights?

13          A.   [SPRAGUE] Pardon?

14          Q.   Were you personally working nights?

15          A.   [SPRAGUE] Days and nights, yes.

16          Q.   Because I was there during days, and I  
17 think I talked to Mr. Frappier. Mr. Gantz, I know I  
18 called you a couple of times. Your response was  
19 excellent.

20                   I guess where I'm going with this is:  
21 Why wouldn't Fitchburg have a representative at MEMA  
22 for the monthly meetings, which might prep them for  
23 something as bad as the ice storm of 2008? Food for  
24 thought. Thank you.

1 BY MS. EVANS:

2 Q. I want to go back to billing for just a  
3 couple more minutes. We're almost done.

4 Mr. Lambert, I think this was your  
5 testimony, that all disconnect proceedings were  
6 suspended during the storm. Is that correct?

7 A. [LAMBERT] There were no disconnections.  
8 Customers were not disconnected, to my knowledge,  
9 after the storm.

10 Q. For what period of time?

11 A. [LAMBERT] I'm not sure of the period of  
12 time.

13 Q. Have you resumed disconnections for  
14 nonpayment?

15 A. [LAMBERT] We have.

16 Q. Do you know when you resumed them?

17 A. [LAMBERT] I don't recall the exact time.  
18 Mr. Gantz and I were just conferring on it, from our  
19 recollection. Mr. Gantz and I had a specific  
20 conversation about it. We believe that in March we  
21 started to start up the proceedings again for the  
22 warnings, the shutoff notices that would go with  
23 that, for those customers who were eligible for  
24 disconnection based on the rules during the

1 moratorium period. And then upon the conclusion of  
2 the moratorium period, the normal procedures would  
3 take place.

4 Q. Tell me how your system sends out shutoff  
5 notices. Is this something that happens  
6 automatically when a customer didn't pay for a  
7 certain period of time? Is the shutoff notice  
8 automatically generated from your system, or is  
9 there some kind of manual input required?

10 A. [LAMBERT] They send out automatically,  
11 based on numbers of days. I believe at the  
12 beginning of the storm shutoff notices had gone out.  
13 But the action to carry out the shutoff for those  
14 was not carried through.

15 Q. Did you stop the system from sending out  
16 shutoff notices at one point in time?

17 A. [LAMBERT] I believe we did.

18 Q. Do you know when that was?

19 A. [LAMBERT] I don't know the date that had  
20 happened.

21 Q. One reason I'm asking is, we received a  
22 number of folks' testimony during the public  
23 hearings that power was out, then they received an  
24 estimated bill, then they got a shutoff notice,

1 which was certainly perceived, at least to us, as  
2 insult added upon injury.

3 A. [LAMBERT] Right.

4 Q. And I'm trying to understand whether,  
5 during the period after the storm, was the company  
6 sending out shutoff notices?

7 A. [LAMBERT] I believe we were after the  
8 storm -- for which we stopped at a certain point.  
9 And I certainly recognize that, finding out that  
10 that had happened, that we should not have sent  
11 those out. We will not, for a future event such as  
12 this, we would obviously not do that in the future.

13 Q. Do you know how many shutoff notices were  
14 sent out?

15 A. [LAMBERT] I do not.

16 Q. Is there a way of telling?

17 A. [LAMBERT] There is.

18 Q. Could I have that information, please?

19 A. [LAMBERT] Sure.

20 Q. That's Record Request DPU-5. Please  
21 provide the number of shutoff notices issued by the  
22 company in the Fitchburg territory from December  
23 11th, 2008, through -- I believe you said that it  
24 was March when the -- when you purposely started



1 sending shutoff notices again; so to the time when  
2 the company purposely started sending shutoff  
3 notices again, meaning March.

4 A. [LAMBERT] Okay.

5 Q. During that same period of time,  
6 Mr. Lambert, were any customers actually shut off?

7 A. [LAMBERT] I'm not sure, but I'd be happy  
8 to provide that in the same data request.

9 Q. In the same data request for the same  
10 period of time, I'd also like to know the number of  
11 customers shut off, and for those customers that  
12 were shut off, I want to know what the time period  
13 of the delinquency was for which they were shut off.  
14 Does that make sense?

15 A. [LAMBERT] It does.

16 Q. What were the beginning consequent bills  
17 for which they received a notice and then were  
18 subsequently shut off.

19 A. [LAMBERT] Right.

20 MR. STETSON: Could I ask a  
21 clarification question?

22 MS. EVANS: Just one second. I'm still  
23 thinking about whether or not I need anything more  
24 on that.

1                   Go ahead, Mr. Stetson.

2                   MR. STETSON: How were you looking for  
3 those numbers to be broken down? Is it by week, by  
4 month?

5           Q. How do you keep those numbers, Mr. Lambert?  
6 Do you get a regular report on a monthly basis  
7 internally, as part of doing business, on how many  
8 shutoff notices you generate and how many people you  
9 actually shut off?

10          A. [LAMBERT] I would have to consult with the  
11 programming group, that would have to run probably a  
12 query or an inquiry to do this. But I will provide  
13 the dates and the breakdowns as best I could that  
14 could help categorize this.

15          Q. And one further clarification: Can you  
16 identify -- we want to clarify whether or not those  
17 are gas- or electric-company customers.

18          A. [LAMBERT] I'll see what we can do. That  
19 may be more difficult.

20          Q. Because it's a single bill?

21          A. [LAMBERT] Yes. But I will address that in  
22 the data response.

23          Q. Perhaps the way to do it is just to  
24 indicate whether those -- for customers that are

1 also gas customers, identify those customers that  
2 are also gas customers. Does that make sense?

3 A. [LAMBERT] Okay, yes.

4 (Record Request DPU-5.)

5 MS. EVANS: Let's take a break. Go off  
6 the record, please.

7 (Recess taken.)

8 MS. EVANS: Let's go on the record  
9 again, please. Before we get back to cross-  
10 examination: While we took a break, the Office of  
11 the Attorney General notified me that they would  
12 like some more time to respond to the company's  
13 opposition -- or objection to the Department's  
14 intent to incorporate by reference the records from  
15 the other three proceedings in the storm  
16 investigation. Is that correct, Mr. Stetson?

17 MR. STETSON: Yes. Our preference would  
18 be to submit something in writing. If that was the  
19 case, we would just need an extra 24 hours, to get  
20 something in by tomorrow, on Friday at some point.  
21 It will depend on when hearings close on Friday.

22 MS. EVANS: That would be fine.

23 The company also had a comment about the  
24 Department's ruling on the motion?

1                   MR. MUELLER: The company would request  
2 that the Department rule on the motion within one  
3 week, so as to allow the parties to respond  
4 appropriately in their briefs and to know what the  
5 record is that we're briefing on.

6                   MS. EVANS: Thank you.

7                   MR. MUELLER: We raised the issue that  
8 we do not believe these materials should be in the  
9 record because the parties have not had an  
10 opportunity to conduct discovery on those materials  
11 or cross-examination. Should those materials go in  
12 the record, the company may be making further  
13 motions, procedural motions, to preserve its rights.

14                   MS. EVANS: Thank you. So noted.

15                   Would you like to introduce your next  
16 witness, please?

17                   MR. MUELLER: Would you state your name  
18 for the record.

19                   THE WITNESS: My name is Robert C.  
20 Yardley, Jr.

21                   ROBERT C. YARDLEY, JR., Sworn

22                   DIRECT EXAMINATION

23 BY MR. MUELLER:

24                   Q. Mr. Yardley, could you state your business

1 title and address for the record.

2 A. My business title is executive adviser. My  
3 business address is 56 Lawrence Road, Chestnut Hill,  
4 Massachusetts 02467.

5 Q. Mr. Yardley, I'm going to show you three  
6 documents that have been marked for identification  
7 purposes as Exhibits FGE-5, 6, and 7. Can you  
8 please identify those three documents by their  
9 exhibit number, please.

10 A. The first document is Exhibit FGE-5. It is  
11 the direct testimony of Robert C. Yardley, Jr.

12 The second document is Exhibit FGE --  
13 there are two markings on this exhibit. It's  
14 Exhibit FGE-6, and it is my resume.

15 And the third document is Exhibit FGE-7.  
16 That is Unitil's response to the 2008 ice storm  
17 self-assessment report.

18 Q. And did you also submit in this proceeding  
19 any interrogatory responses?

20 A. I believe I had around six interrogatory  
21 responses.

22 Q. And were FGE-5, 6, and 7 and your six  
23 interrogatory responses prepared by you or under  
24 your direct supervision?

1           A.    They were.  I would observe, FGE-7 was a  
2 company report, but I am the principal author, and  
3 so noted in a footnote.

4           Q.    And at this time do you have any  
5 corrections or revisions to those exhibits or your  
6 discovery responses?

7           A.    I'd like to make an addition to FGE-7.  
8 This is just to clean up a matter that I think came  
9 up on Monday or Tuesday.  That is, there's a Table 8  
10 appearing on Page 78 of FGE-7.

11                   And the purpose of Table 8 is to present  
12 in one document everything the company said with  
13 respect to estimated restoration times.  Earlier in  
14 the week there was an observation made by, I  
15 believe, counsel for the Attorney General that there  
16 was one sentence that appeared in a PSA that was  
17 relevant to estimated restoration times that did not  
18 appear in this table.  I would just like to note for  
19 the record that the entry at the bottom of Page 78  
20 for December 16th, 10:00 p.m., discusses the  
21 estimated restoration times for New Hampshire but  
22 omitted a sentence which addressed estimated  
23 restoration times for Massachusetts.

24                   That sentence should read, "Restoration

1 of all primary circuits in Massachusetts is expected  
2 on Thursday in Fitchburg, Friday in Townsend and  
3 Lunenburg, and on the weekend in Ashby, again to  
4 weather." Now that I'm reading that, it strikes me  
5 that that's not the words of the sentence, so I  
6 might have to check one more time. But I believe  
7 that corrects the record.

8 Q. Thank you. And with those changes, Mr.  
9 Yardley, do you adopt your testimony or these  
10 exhibits as your testimony in this proceeding?

11 A. Yes, I do.

12 Q. Mr. Yardley, could you please tell us what  
13 your role was in preparing the self-assessment  
14 report?

15 A. Yes, I can. The self-assessment report has  
16 been referred to on the record as the Yardley  
17 report, but it is really titled the Unitil  
18 Self-Assessment Report for a reason. So I would  
19 like to just spend a moment describing my role and  
20 the company's contributions so it's clear to  
21 everyone that's present.

22 As noted in the report, the decision to  
23 identify lessons learned and actions that can be  
24 taken and should be taken was made by Unitil's CEO,

1 Bob Schoenberger, on or before December 19th. I was  
2 asked by Mr. Schoenberger on a phone call to guide  
3 Unitil through this process. In that capacity, I  
4 identified areas that needed to be examined and  
5 shared them with the company.

6 One of my first tasks was to establish a  
7 set of objectives for the conduct of the self-  
8 assessment, and I shared these objectives with  
9 Unitil's board of directors in a meeting that I  
10 believe was held on January 20th. These objectives  
11 were that the report needed to be an open  
12 presentation of what happened during the storm,  
13 before the storm, and after the storm; that it was  
14 important that the report be as informative as  
15 possible; that it be comprehensive. An effort was  
16 made to identify any potential issue that might be  
17 the subject of a lesson learned or a recommendation,  
18 to the extent that that was possible.

19 I felt it was important that the report  
20 be factual, that it contain as many facts as  
21 possible, so that there would be no question as to  
22 what the facts were that became the basis for any  
23 recommendation or lessons learned; that to the  
24 extent that implementation was underway, that it



1 should be noted in the report; and that it be a  
2 superior report, so that if a member of the  
3 community, a legislator -- because this was a very  
4 public matter -- if they were to pick up the report,  
5 that they would really view it as a superior  
6 document; and that it use plain language for that  
7 same reason, not be overly technical, although there  
8 is some technical language in the report.

9           The contribution -- and it is a Unitil  
10 report, and I relied extensively on the  
11 recollections of company employees. The  
12 contribution of those employees was really  
13 remarkable. I started a few days after a rough  
14 couple of weeks for these employees. They were  
15 really anxious to share, to sort of get off their  
16 chest -- you know, talk about what they had done,  
17 what it was like for them. This isn't picked up in  
18 the transcript, I guess -- but talk about what their  
19 life was like, but also what they wanted to do  
20 better. They were totally engaged in the process.

21           So the report reviews their experience  
22 leading up to, during, and since the power was  
23 restored in order to provide a context, but the  
24 request from the company was really, "We want to

1 know what we need to do going forward." So while it  
2 presented factual background in order to provide  
3 context, which was really, "What can we do better?"

4 Mr. Schoenberger remained very  
5 supportive. I met with him, in some cases every  
6 week, in some cases every couple of weeks. And he  
7 consistently asked me if I was getting everything I  
8 needed. That was his one question, basically.

9 As noted in one of the data-request  
10 responses that was directed to me, the company was  
11 provided with an opportunity to comment on the draft  
12 report. I was particularly concerned that the  
13 report be factually accurate. I was gathering  
14 tremendous amounts of information in the course of  
15 preparing the report. But I'm not sure -- you can  
16 see the number of areas covered by the report. I  
17 wanted to be sure that whatever ended up in the  
18 report was completely factual. I received no  
19 substantive recommendations on the lessons learned  
20 or recommendations throughout the process.

21 The report really stands on its own. I  
22 think it's up to you and others to determine whether  
23 it's met its objectives. If there are any  
24 shortcomings, those are obviously mine, not the

1 company's.

2 I think it's important -- as you've  
3 noticed, I've been sitting in the hearing for some  
4 time. I think one of the things I always look for  
5 is not how you get into an issue but how you come  
6 out of it. You know, how has the company responded  
7 to this? You see many companies in regulatory  
8 proceedings, and I can recall a few, that kind of  
9 remain in denial. That's not the case here.

10 I think what we see now is a company  
11 determined to make the changes that need to be made  
12 and to restore the relationships with its  
13 communities, and that will take time. There's a lot  
14 that needs to be done, but I think the determination  
15 and commitment is certainly there, from what I've  
16 observed. Obviously, they'll reflect the feedback  
17 that they receive from the Department and from other  
18 parties as well.

19 Q. Mr. Yardley, consistent with your role in  
20 this proceeding for Unitil and with the testimony  
21 you've filed in this case, do you have any further  
22 comments, based on what you've heard in the hearing  
23 room?

24 A. There's only one. There's one area -- I

1 wouldn't say I'm concerned, but it's really an  
2 observation of mine. That is, we're discussing sort  
3 of issue by issue and going into a great deal on  
4 some issues.

5           There's been a lot of emphasis on  
6 planning, and that's entirely appropriate, and I  
7 think a lot of the changes that the company will  
8 make are around planning. I would expect a lot of  
9 the observations made by the parties and the  
10 Department will be around planning.

11           But to me, the planning that's being  
12 done now by the company is really informed by  
13 experience. Planning informed by experience is  
14 extremely valuable.

15           One of the things I did was, I read  
16 through a number of storm reports, really, before I  
17 was engaged. As my in-laws can attest, I read as  
18 many storm reports as I could find. In most cases  
19 there was a pattern of a company, either they had  
20 had one or two significant events before that  
21 particular storm report -- in most cases they had,  
22 because a lot of the storm reports were hurricane  
23 companies. And so you could see the report would  
24 talk about the lessons learned in the last storm,

1 and the commission was looking to see, "Did you  
2 learn anything from the last storm, are these the  
3 same issues that came up from before?"

4 So I think in this case -- and I'm not  
5 making excuses for the company at all. But I think  
6 the fact that their learning is informed by this  
7 particular experience is going to be very valuable,  
8 to the company and its customers.

9 MR. MUELLER: That completes the  
10 company's direct presentation. Thank you.

11 MS. EVANS: Mr. Stetson, do you have  
12 questions for this witness?

13 MR. STETSON: I do. Before I start, I'd  
14 like to say that my office shares Mr. Yardley's  
15 sentiments regarding the Unitil employees. We found  
16 that they worked through a very difficult time and  
17 worked long and difficult hours addressing the  
18 outage. Any criticism that comes from our office is  
19 meant to be constructive criticism -- not to  
20 criticize the efforts or the dedication of the  
21 individuals or the team.

22 CROSS-EXAMINATION

23 BY MR. STETSON:

24 Q. Mr. Yardley, I do have a few questions for

1 you at this time. Now, you described yourself as  
2 essentially the principal architect of the self-  
3 assessment report; is that correct?

4 A. Yes, I think I used the term "principal  
5 author," but "architect" sounds even bigger.

6 Q. Now, were you the principal fact-gatherer  
7 for this effort?

8 A. No, I had two staff members assisting me.  
9 One in particular was extremely valuable.

10 Q. Could you for the record give us the names  
11 of those people and what their functions were.

12 A. There were two individuals. One was, his  
13 name was Boris Shapiro. He's a former employee of  
14 the Department. He currently works for the firm  
15 Levitan & Associates. Richard Levitan is someone  
16 I've worked with for 20 years. I know everybody at  
17 his firm. I've worked with his firm. Since I'm  
18 independent, sometimes I'll reach out to his firm.

19 And the second individual, her name is  
20 Sarah Pierce. She's an extremely capable  
21 consultant, among the best I've ever worked with.

22 Q. What was their function?

23 A. She's at Levitan & Associates as well.

24 Q. Did they perform interviews on your behalf

1 of employees or members --

2 A. We conducted numerous interviews -- I'm  
3 sorry.

4 Q. -- or members of the management team?

5 A. They conducted numerous interviews. I was  
6 present at every interview except for, I think, two,  
7 where I had to travel for another client commitment  
8 that came about before the storm. Boris tended to  
9 focus more on the planning aspects, which I actually  
10 held up after a certain period. And Sarah was  
11 present in almost every interview.

12 Q. Did they contribute to your authorship of  
13 the recommendations that are included in the report?

14 A. No, they did not.

15 Q. Now, you've labeled this a self-assessment  
16 that you're sponsoring here today. The "self" is  
17 meant to be Unitil assessing its own process of  
18 restoring service after this ice storm; is that  
19 correct?

20 A. That's correct.

21 Q. Could this fairly be termed a management  
22 audit with respect to their performance during the  
23 restoration of this ice storm?

24 A. You know, I don't have an opinion. I guess

1 I would defer to others, if they think that's what  
2 it is. It has aspects of an audit.

3 Q. Could it might also be described as a  
4 postmortem, an after-the-fact analysis of an outage  
5 and restoration effort?

6 A. I don't think that's appropriate, because  
7 it's really a forward-looking document.

8 Q. You stated in your opening statement that  
9 you made findings or came to conclusions to support  
10 your recommendations in this report. Is that a fair  
11 statement?

12 A. I identified lessons learned -- you know,  
13 what did the company learn that it sort of already  
14 didn't know? Sort of new learning from this  
15 experience. And then from there I developed new  
16 recommendations.

17 Q. So, to support those recommendations and to  
18 go forward to draft those recommendations, you had  
19 to come to some determination of what occurred on  
20 what dates. Is that fair to say?

21 A. Right. I think if you look at the sections  
22 of the report, the substantive sections, they're  
23 structured in a way that sort of presents facts  
24 grouped in some area -- press communications, public



1 communications. And then after the communication of  
2 the facts, there's maybe a two- or three- or four-  
3 page assessment -- you know, what did those facts  
4 mean? And then summarized by key lessons learned.  
5 And then finally, "Okay, here are the  
6 recommendations that the company should consider  
7 adopting."

8 Q. I'm looking at your curriculum vitae, which  
9 was marked, I guess, as FGE-6. Have you conducted  
10 an event analysis or been involved in an event  
11 analysis of a storm outage before?

12 A. No. There were a couple of storms while I  
13 was at the Department. So I was involved in those.  
14 I was involved in directing staff in one of the  
15 inquiries in particular.

16 Q. And what was that?

17 A. That was Hurricane Bob.

18 Q. Was there an order issued as a result of  
19 that investigation?

20 A. Yes, the order was issued in December of  
21 1992. I had left the Department in September or  
22 October of 1992, but I was actively involved,  
23 meeting with staff, to discuss the areas of inquiry  
24 that were of interest to me, which was a common

1 practice for any significant proceeding.

2 Q. And do you recall the focus of that  
3 investigation, particularly with regard to which  
4 company and what services they offered?

5 A. Yes. Hurricane Bob, if I recall correctly,  
6 affected Commonwealth and I believe Eastern Edison  
7 disproportionately to the other utilities in  
8 Massachusetts. You know, I don't recall if NSTAR --  
9 it came up the coast -- if they were affected, but  
10 they might have been. And National Grid's Salem  
11 properties might have been affected as well. But I  
12 don't believe Fitchburg was really affected  
13 significantly by that particular storm.

14 Q. And you left the Department a few months or  
15 a number of months before that was issued?

16 A. Two or three months, I believe.

17 Q. So you weren't a signatory on that order.

18 A. No, I'm not a signatory.

19 Q. Now, you stated that you conducted initial  
20 research to focus on storm investigations. I  
21 believe it was part of a response to AG-5-175. And  
22 you've mentioned the Hurricane Bob order. Are there  
23 any other orders that you looked at that either you  
24 were or weren't involved in, in advance of

1 performing this self-assessment?

2 A. At the initial acceptance of this  
3 investigation I was obsessed with making sure that I  
4 identified any area of inquiry that might be  
5 relevant.

6 Q. You said "obsessed"?

7 A. I said "obsessed," yes. I was obsessed.  
8 It was during the holiday. That's why I said my  
9 in-laws remember it well. I looked at several  
10 orders. I looked at anything I could find on best  
11 practices. There wasn't a great deal. I didn't  
12 find the home run: "Here's the best practices for  
13 storm restoration."

14 But my review of those orders and even  
15 the best practices was really, you know, is there  
16 any area out there that the report should really  
17 look at?

18 Q. And you said you didn't find anything  
19 particularly on point, as you had hoped?

20 A. Well, I did find -- a lot of it is not  
21 public. The KEMA report has had some discussion.  
22 That was a public document. I was able to find some  
23 presentations by consultants. I think I cited one  
24 in the report, Dan O'Neill. He's a former colleague

1 of mine. He's made some presentations.

2 I looked through the companies that I  
3 thought were candidates in my own mind: Who is  
4 likely to have best practices? I know Florida Power  
5 & Light would be high on my list of a company likely  
6 to have examined just about every area of a storm  
7 response. I understood that what Florida Power &  
8 Light might do might not apply to Fitchburg Gas and  
9 Electric, not only because hurricanes are different  
10 than ice storms, just because of the size of the  
11 company and so forth.

12 But I made every effort to find anything  
13 that would help me, inform me as to what companies  
14 had done and what areas -- I was really focused on  
15 the areas of inquiry, primarily.

16 Q. Did you look at any regulatory  
17 investigation results regarding any other ice storms  
18 at all?

19 A. I believe I read a Maine report. National  
20 Grid had two storms in 2006 in New York, and, and I  
21 have a lot of respect for the New York commission  
22 just in terms of its thoroughness. So I knew that  
23 if I looked at those, they probably would have  
24 looked at just about everything that could come up.

1 So I looked at those storms as well, and I was  
2 interested in trying to see how National Grid had  
3 evolved over time in their ability to respond to  
4 storms.

5 Q. Did you happen to look at any Massachusetts  
6 regulatory orders that dealt with storm outage  
7 responses?

8 A. I did read the Hurricane Bob order.

9 Q. Did you see your fingerprints all over  
10 that?

11 A. It did bring back some memories.

12 Q. What about the Western Mass. Electric  
13 Company order? I believe it was '96, subject to  
14 check.

15 A. Is that the Hurricane Gloria order?  
16 Because I did not look at that. I have not read  
17 that. I don't recall a Western Mass. case.

18 Q. I think it involved a very severe line of  
19 thunderstorms or mini-tornados. But you don't  
20 recall that, looking at that?

21 A. No, I don't. I was not aware of that.

22 Q. You mentioned the interviews you conducted  
23 in-house. Could you give us some idea of who you  
24 interviewed within Unit 1?

1           A.    At Unitil I probably met with, either  
2 individually or in groups, at least maybe 30  
3 individuals. They were in every aspect of the  
4 company -- public communications. I spent some time  
5 in the call center. I met with, spent considerable  
6 time with the operational people, many of the people  
7 in this room, and people that worked for them.

8                       So, you know, every area that's  
9 addressed in the report, in order to gather the  
10 facts relevant to that area, I would meet with the  
11 best people that could provide that information.

12          Q.    What about line persons? Did you interview  
13 any individual supervisors or members of the crews  
14 out there in the field?

15          A.    No, I had intended to on January 27th, when  
16 I was in Fitchburg, but it ran late and I went off  
17 to the public hearing that day. But I believe Mark  
18 Frappier and maybe Chris Dube as well had conducted  
19 a debriefing of the line crews that worked for  
20 Fitchburg, and they shared that with me.

21          Q.    Any of the contractors who may have been in  
22 the field?

23          A.    No, I did not consult with any contractors  
24 or meet with contractors.

1           Q.    Did you conduct any interviews with  
2           municipal officials within the Fitchburg service  
3           territory?

4           A.    No, but I read -- I attended the Fitchburg  
5           hearing, through the presentation of every municipal  
6           official that spoke at that meeting, and I read the  
7           transcripts of both public hearings.

8           Q.    And what were your impressions of the  
9           sentiments of the officials voiced at those  
10          hearings -- at that hearing?

11          A.    I thought that -- you know, I'm listening  
12          as a consultant, so I'll answer that as a consultant  
13          first.

14          Q.    A consultant to Unitil or a consultant  
15          generally?

16          A.    No, not necessarily. Just I'm looking for  
17          information, and when I was a Commissioner, I  
18          learned things from public hearings. I don't think  
19          people always realize that. But people did say  
20          things in public hearings that ended up affecting  
21          the orders, and I'm sure that's true today. So I  
22          was listening from that perspective.

23                        There were a few presentations I thought  
24          from public officials that were really very good and

1     were informative to me. The three that stand out,  
2     two I saw in person and one I read in a transcript,  
3     were the Attorney General herself, Martha Coakley,  
4     came to Fitchburg.

5           Q.     Thank you. I'll pass that on.

6           A.     Please do, yeah. She really spent some  
7     time saying, "The inquiry should address this." So  
8     I went back and read the transcript after the  
9     meeting.

10                   I thought Mayor Wong was very -- and I  
11     continue to be impressed by her, just the way she  
12     conducts herself, the way she did at the hearing.

13                   And also the chairman of the Board of  
14     Selectmen of Lunenburg in his written comments --  
15     and I wasn't there to sort of witness the comments.  
16     But I thought that it was a responsible set of sort  
17     of -- my reaction was, oh, this is kind of a  
18     business person, this is somebody who has some sense  
19     of how organizations function. And so I was  
20     impressed by those comments.

21           Q.     Did you interview any State officials that  
22     may have been either at these public hearings or  
23     involved in the restoration efforts?

24           A.     No, I did not. I should add as well, from



1 the first day of the storm, as soon as I found out  
2 there was a storm -- it wasn't obvious in Boston  
3 that there had been a storm. But I found out the  
4 first day, and I read press reports. I basically  
5 signed on to the Fitchburg Sentinel every day, even  
6 during vacation, just to see what they were saying,  
7 and public officials were quoted in those reports.

8 Q. Now, in conducting your interviews, either  
9 you or your associates, you indicated that you  
10 looked for best practices as it relates to storm  
11 assessments. Is that fair to say?

12 A. Yes, but I also do a fair amount of what's  
13 called management consulting, looking at  
14 organizations. I might look at a department, how is  
15 it organized, what are the processes. And as a  
16 former executive of consulting firms, I know -- you  
17 know, I have a good sense of how organizations  
18 function. So it wasn't just relying on my storm  
19 experience in those cases.

20 I did rely on sort of a lot of the  
21 research I have done to help form some of the  
22 questions. But basically, I asked the questions,  
23 and I didn't stop asking questions until I was  
24 satisfied that I had learned everything I could

1 possibly learn.

2 Q. Did you interview any other utility  
3 executives or management relating to -- in looking  
4 to glean best practices as it relates to storm  
5 restoration?

6 A. No, I relied on what I was able to find in  
7 terms of presentations and reading through some of  
8 the storm investigations. I did not interview any  
9 utility executives.

10 Q. You didn't have the opportunity to discuss  
11 these matters with Mr. Francazio in advance of your  
12 self-assessment, did you?

13 A. Briefly I did, because my report was filed  
14 on March -- "my report"; Unitil's self-assessment  
15 report.

16 Q. You mean the Yardley report?

17 A. No, not that report.

18 The Unitil self-assessment report was  
19 filed on March 25th. Mr. Francazio had agreed to  
20 join Unitil in the position of -- I don't recall his  
21 exact title, but he was going to be responsible for  
22 developing a plan, and essentially he was going to  
23 be responsible for implementing the recommendations  
24 in the report.

1                   So I did provide a copy to him maybe two  
2 or three days before it was filed and said, "Hey, if  
3 you have any questions, if there's anything that's  
4 just outrageous, I'd be interested in your opinion."  
5 It didn't mean I was going to change anything. But  
6 I thought it was an appropriate and a reasonable  
7 thing to do.

8           Q.   And what kind of feedback did you receive  
9 from him?

10          A.   "This is a pretty good report." I think  
11 that kind of sums it up. I was a little nervous  
12 before I got that feedback, but....

13          Q.   Now, you stated you drafted these 28  
14 recommendations; is that correct?

15          A.   Yes. I virtually drafted the entire  
16 report.

17          Q.   Was that with the help of your associates?

18          A.   I let Sarah Pierce write the storm  
19 description, but the rest of it I reserved for  
20 myself.

21          Q.   So you did determine the sum and substance  
22 of the recommendations that are included in the  
23 report.

24          A.   Yes, I did.

1           Q.    Did you share with Mr. Schoenberger -- you  
2 indicated you had regular consultations with him.  
3 Did you share your recommendations, in advance of  
4 your putting pen to paper, with him?

5           A.    No, I actually resisted providing anybody  
6 at the company with a copy of the report until it  
7 was at least half-baked. I didn't think it was  
8 appropriate to --

9                    You know, there are so many issues that  
10 are interrelated in the report. I think sharing  
11 bits and pieces I didn't think was appropriate. I  
12 didn't think it would be helpful.

13          Q.    Now, in putting together your thoughts, was  
14 there anytime when you had, say, more than 28  
15 recommendations?

16          A.    I did have more than 28 recommendations.  
17 When I studied them --

18                   I did sort of an initial cut. And I  
19 think in the February 23rd filing, actually, the  
20 company wanted to put something in that filing.  
21 There may have been conveyed that was directly  
22 relevant -- you know, "What are you thinking in  
23 terms of findings?" I can't recall the question.

24                   But I know there was a list that they

1 asked me to provide, and I don't know how many  
2 numbers -- I didn't add them up. But there's no  
3 magic to the 28. But as I was working closer to  
4 March 25th, I was trying to -- you know, if things  
5 were really very closely related, I tried to group  
6 them within a single recommendation, because I  
7 thought it would be easier for the company to keep  
8 track of as they went to implement. So you'll see  
9 some of the recommendations might have subbullets.  
10 Rather than provide each subbullet as a  
11 recommendation, I combined them into sort of the  
12 main thrust of the recommendation, without losing  
13 the detail.

14 Q. Did you eliminate any that you thought  
15 were, for whatever reason, weren't necessary to be  
16 included?

17 A. You know, there was one recommendation --  
18 there was one issue that came up during the  
19 restoration period that related to customers being  
20 confused and having to hire their own electrician.  
21 So when I looked at that -- I know, me, I'm  
22 relatively incompetent. If I was without power for  
23 ten days and then somebody told me I had to go find  
24 an electrician, I'd probably be ready to pull my

1 hair out, what I have left, at that time.

2 I thought it would be great if the  
3 company could do something, sort of act as an  
4 intermediary, provide a service. I think some of  
5 the electricians were charging quite a bit of money  
6 for the service they were providing.

7 So there was a recommendation at one  
8 point around that that I withdrew from the report.

9 Q. Any others?

10 A. The only other recommendation that I got  
11 feedback on was the need for -- to look at other  
12 weather forecasting services. The company relies --  
13 it's in the report -- on a couple of weather  
14 forecasting services. I thought maybe, looking at  
15 everything, it's reasonable to see if you can  
16 acquire a third service or a fourth service, and I'm  
17 not sure, actually, what the company is doing right  
18 now.

19 I had some discussions with the company  
20 about that, with Tom Meissner in particular. We had  
21 this conversation that was basically, "Well, with  
22 today's state-of-the-art weather forecasting, a lot  
23 of the forecasting services really at the end of the  
24 day are relying on a lot of the same source

1 information." So I was less confident that that was  
2 really something that would be helpful to the  
3 company.

4 That's it. That's the only two  
5 recommendations that I can recall. And I would  
6 remember them. I mean, a conversation like that  
7 over this report with Unitil would be something that  
8 I would remember.

9 Q. Besides Mr. Francazio, was there anyone  
10 else you gave a prepublication copy to to look at  
11 and get feedback from?

12 A. No, and again, the only reason I would  
13 share with Mr. Francazio was because he was about to  
14 become an employee of the company and had reached an  
15 agreement.

16 Q. You wanted to give him an idea of what he  
17 was heading into?

18 A. I think it's good practice. There's  
19 nothing worse than one department in a company  
20 issuing "Here's what needs to be done," and then  
21 they hand it off to a person in the company who  
22 knows a lot more than the people who came up with  
23 what needs to be done. It's nice for them to say,  
24 "I agree" or "disagree."

1           Q.    You go 1 through 28.  Is there any  
2           relevance to the order that we find them in the  
3           report?  Are they prioritized in any way?

4           A.    I tried to -- they're not prioritized at  
5           all.  They're in the order of the report, so they  
6           follow sequentially the order of the chapters or  
7           sections in the report.

8                     The sections of the report are ordered  
9           in a way that I thought it would make sense for  
10          somebody reading the report front to back to be able  
11          to sort of follow in some logical way.  There's no  
12          other reason, other than that.

13          Q.    If you were asked by the company to provide  
14          a prioritized --

15                    Let me ask:  Did the company ask you if  
16          you had a priority order to these recommendations?

17          A.    I think every recommendation in this report  
18          is important, or it wouldn't be in here.

19          Q.    Are there a dozen or eight or three or four  
20          that you'd particularly put on the top of the list  
21          of things to be done, done first and foremost?

22          A.    No, no.  I think they're all important.  I  
23          wouldn't take any off the list.

24                    There are some themes through the



1 recommendations. I mean, one theme you may have  
2 noticed is that a lot of them deal with getting  
3 better information, either for the people restoring  
4 power or to be able to communicate outside of the  
5 company. So I think several of the recommendations,  
6 if you look at them in that light, you can see that  
7 theme emerging through the recommendations.

8 Q. Did you do any cost/benefit analysis with  
9 respect to any of the recommendations, or all of  
10 them?

11 A. I think you will see a few phrases in some  
12 of them, not many, where I might have said "if  
13 economical," just because only, based on my own  
14 experience, I knew that the recommendation might  
15 have potential economic consequences and that it  
16 would be appropriate before you went forward with  
17 that to do an assessment like that. But I did not  
18 extend into that area in my inquiry.

19 Q. And either of your associates, did they  
20 look into any of the cost-related aspects of these  
21 recommendations?

22 A. No. My report really stopped at what  
23 needed to be done. I think some consultants go too  
24 far in some situations and try to answer the

1 question completely. I stopped with the what needed  
2 to be done, because I know that the people that are  
3 much smarter than me that are not only responsible  
4 for implementing the recommendation but living with  
5 the recommendation would do a much better job coming  
6 up with the details to have solved the issue that  
7 I've identified in the recommendation.

8 Q. Did you put any other constraints on your  
9 review, such as time -- you know, that you needed to  
10 come up with recommendations that could be  
11 implemented, say, before the next winter season so a  
12 recurrence would be less likely?

13 A. I was anxious to get the report done for a  
14 number of reasons. One of them was, I wanted the  
15 company to be in a position that they were prepared  
16 for a storm, if not by the hurricane season,  
17 certainly by the winter of 2009-2010.

18 Q. And that was in your mind when you came up  
19 with these recommendations, I take it?

20 A. No, I came up with the recommendations that  
21 I thought were appropriate. I think there's  
22 probably a couple they'll have difficulty meeting by  
23 next winter, but I also think they'll be ready for a  
24 storm -- or a lot more ready today, but will

1 certainly be ready by next winter.

2 Q. Has the company shared its thoughts on your  
3 report -- on the report since you've submitted it to  
4 them?

5 A. No.

6 Q. You've gotten no feedback from Mr.  
7 Schoenberger?

8 A. No. I haven't gotten feedback one way or  
9 the other.

10 Q. They haven't shared with you any idea of  
11 any costs that might be generated as a result of  
12 these recommendations?

13 A. No. My only exposure to what's going on  
14 right now in terms of implementing the  
15 recommendations was the data-request responses that  
16 were sponsored by Mr. Francazio. I read those for  
17 the first time after they were filed.

18 Q. Now, is it your understanding that the  
19 company is committed to implementing these  
20 recommendations?

21 A. You know, the one significant comment that  
22 I got from Mr. Schoenberger on Page i of the  
23 executive summary and perhaps again in the  
24 introduction, that appears in the very first

1 sentence. In the initial draft, at Line 4, the  
2 beginning of the line, it says, "When implemented."  
3 That used to say, "If implemented." So I took that  
4 as a commitment from Mr. Schoenberger that these  
5 recommendations were going to be implemented.

6 Q. Have you received any other messages along  
7 that line?

8 A. No. I mean, my sense is the company is  
9 committed and is already changing, as an outsider.  
10 You know, this is a company-changing event. The  
11 changes they make will have benefits probably in  
12 other parts of their business.

13 But again, this company is not a company  
14 in denial. It's not a company that has, you know, a  
15 history of issues across the company. I don't know  
16 what the Department's perspective has been. But I  
17 know in Hurricane Bob we were a little concerned  
18 with one of the firms, one of the utilities, that  
19 they seemed to have issues in a lot of places. I  
20 don't think that's the case here.

21 Q. Now, in the course of putting this report  
22 together, did you consider providing an  
23 implementation plan regarding the recommendations?

24 A. No. I would view that as a separate

1 engagement. I've seen some of the comments, you  
2 know, that the report didn't include an  
3 implementation plan. That's a fairly significant  
4 effort. I had all I could do to sort of get my arms  
5 around the facts and the "what" that needed to be  
6 done. To do an implementation plan properly is  
7 another at least month-long effort. I may or may  
8 not be the best person to do that. I think they  
9 have somebody now that's more qualified than I.

10 Q. Could I ask you to refer to Data Response  
11 AG-5-127, Attachment 1. Could I draw your attention  
12 to Attachment 1. I don't know whether you have the  
13 colored version or not. I think you do.

14 A. Yes. I hope it's easier to read than the  
15 black-and-white version.

16 Q. It is.

17 MS. PURCELL: We gave color to  
18 everybody, for the record.

19 A. I had a lot of difficulty reading this.

20 Q. This is entitled the Action Plan Summary.  
21 Did you have any input in the construction of this  
22 summary?

23 A. You know, I can't recall if this question  
24 was included. But the Data Request 5 -- this is Set

1 5, I believe --

2 Q. Yes.

3 A. -- had this section which said, "These  
4 questions are directed to the company and not to Mr.  
5 Yardley." And so I did not have any involvement. I  
6 did not see this request before it was filed. I  
7 think this might have been one of them that was in  
8 that list.

9 The only thing that I saw in Set 5 were  
10 the six questions that I responded to.

11 Q. Have you seen this before?

12 A. I tried to read this in preparing to  
13 testify, but I did not have the color version.

14 MS. PURCELL: You're the only one I  
15 didn't give the color version to it.

16 A. I had a lot of difficulty reading it. You  
17 may need to give me some extra time if you're going  
18 to point me to any particular line.

19 MR. STETSON: On that note, I was  
20 wondering if it might be a good point to break, if  
21 we could. I've got a number of questions about it.  
22 It might be better if Mr. Yardley had a chance to  
23 familiarize himself with it.

24 MS. EVANS: Let's go off the record for

1 a moment.

2 (Discussion off the record.)

3 MS. EVANS: Let's go back on the record.  
4 A couple of things: We're going to end the  
5 cross-examination of Mr. Yardley at this point in  
6 time. We'll start back up at 9:00 o'clock tomorrow  
7 morning with Mr. Yardley. The Attorney General's  
8 office still has additional questions, and the Bench  
9 will have some additional questions. Then we will  
10 go back to the panel, the ever-expanding panel, of  
11 company witnesses, cast of thousands.

12 I wanted to go through one brief  
13 procedural matter. The company had indicated that  
14 it may want to supplement the Department's  
15 incorporation by reference of the service-quality  
16 dockets, that the company wanted to supplement that  
17 incorporation with a letter from the last rate case.  
18 Mr. Epler, do you now need to file that letter?

19 MR. EPLER: No, I do not, Madam Hearing  
20 Officer. On review of the service-quality reports,  
21 I believe that that information is referenced in the  
22 cover letters to the service-quality reports  
23 themselves.

24 MS. EVANS: Great. Thank you. That

1 incorporation by reference will stand as it is.

2 Thank you.

3 Anything else at this point in time?

4 Therefore we will close the record and see everyone  
5 at 9:00 o'clock. Thank you.

6 (5:05 p.m.)

7  
8 REPORTER'S CERTIFICATE

9 I, Alan H. Brock, the officer before  
10 whom the foregoing proceedings were taken, do  
11 certify that this transcript is a true record of the  
12 proceedings on May 14, 2009.

13  
14  
15  
16  
17  
18  
19  
20  
21  
22 -----

23 Alan H. Brock, RDR, CRR



I N D E X

## EXAMINATIONS

THOMAS P. MEISSNER, JR. , GEORGE R. GANTZ, MARK  
LAMBERT, RAYMOND LETOURNEAU, and RICHARD  
FRANCAZIO

MR. PERLMUTTER 644

MARK FRAPPIER

MS. PURCELL 654

THOMAS P. MEISSNER, JR. , GEORGE R. GANTZ, MARK  
LAMBERT, RAYMOND LETOURNEAU, RICHARD  
FRANCAZIO, and MARK FRAPPIER

MR. PERLMUTTER 654

MS. EVANS 657

MR. PERLMUTTER 658

MS. EVANS 665

MR. PERLMUTTER 666

MS. EVANS 668

MR. PERLMUTTER 668

MS. EVANS 669

MR. PERLMUTTER 678

MS. EVANS 680

MR. PERLMUTTER 681

MS. EVANS 683

1	CHRISTOPHER DUBE and KEVIN SPRAGUE	
2	MS. PURCELL	688
3	THOMAS P. MEISSNER, JR., GEORGE R. GANTZ, MARK	
4	LAMBERT, RAYMOND LETOURNEAU, RICHARD	
5	FRANCAZIO, MARK FRAPPIER, CHRISTOPHER DUBE,	
6	and KEVIN SPRAGUE	
7	MR. NELSON	689
8	MS. EVANS	708
9	MR. NELSON	709
10	MS. EVANS	709
11	MR. NELSON	711
12	MS. EVANS	712
13	MR. NELSON	718
14	MS. EVANS	719
15	MR. PERLMUTTER	720
16	MS. EVANS	734
17	MR. PERLMUTTER	736
18	MR. NELSON	746
19	MR. OSBORNE	748
20	MS. EVANS	759
21	MR. OSBORNE	769
22	MS. EVANS	778
23	MR. OSBORNE	780
24	MS. DAY	787

		858
1	MR. CAREY	809
2	MS. EVANS	813
3	ROBERT C. YARDLEY, JR.	
4	MR. MUELLER	819
5	MR. STETSON	828
6		
7	EXHIBITS MARKED	
8	Exhibit FGE-9	687
9	Exhibit FGE-10	762
10	Exhibit FGE-11	779
11		
12	RECORD REQUESTS	
13	Record Request DPU-3	656
14	Record Request DPU-4	782
15	Record Request DPU-5	818
16		
17		
18		
19		
20		
21		
22		
23		
24		

<b>\$</b>	665:20, 666:15, 666:21, 667:22, 668:5, 668:19, 669:8, 669:11, 669:16, 669:21, 670:8, 670:17, 672:4, 676:1, 676:5, 677:9, 678:13, 681:1, 681:18, 681:24, 682:16, 684:3, 688:15, 689:11, 689:22, 690:4, 696:18, 697:16, 697:23, 698:23, 702:16, 702:17, 705:5, 721:11, 721:16, 796:7 <b>13</b> [1] - 729:13 <b>13,8</b> [3] - 647:7, 669:13, 697:1 <b>13.8</b> [2] - 657:18, 669:5 <b>1300</b> [1] - 698:23 <b>137</b> [4] - 788:15, 789:2, 789:4, 791:21 <b>138th</b> [1] - 791:23 <b>13th</b> [10] - 682:16, 685:7, 685:9, 685:18, 689:22, 697:16, 699:2, 699:23, 700:4, 702:14 <b>14</b> [7] - 640:6, 642:1, 704:8, 704:9, 704:15, 705:13, 855:12 <b>14th</b> [1] - 700:4 <b>15-minute</b> [2] - 754:2, 754:5 <b>154</b> [1] - 770:24 <b>15th</b> [1] - 700:5 <b>16</b> [4] - 698:11, 704:16, 715:19, 716:14 <b>16-hour</b> [1] - 715:5 <b>164</b> [3] - 642:11, 778:15, 778:16 <b>16th</b> [4] - 755:15, 755:23, 766:14, 821:20 <b>17th</b> [4] - 793:24, 794:5, 794:6, 794:8 <b>18</b> [3] - 685:19, 698:11, 707:4 <b>186</b> [1] - 783:6 <b>19</b> [2] - 663:6, 663:7 <b>1992</b> [2] - 832:21, 832:22 <b>1996</b> [1] - 717:7 <b>19th</b> [5] - 677:15,	702:14, 766:22, 767:17, 823:1 <b>1:00</b> [1] - 698:24 <b>1E</b> [1] - 642:11 <b>1st</b> [2] - 766:1, 788:15 <b>1th</b> [1] - 657:3	790:23, 796:8, 841:19, 844:4 <b>26</b> [14] - 658:13, 658:22, 659:1, 659:4, 661:6, 662:19, 662:24, 663:20, 665:3, 665:16, 665:18, 666:15, 672:19, 674:11 <b>260</b> [1] - 641:3 <b>27th</b> [3] - 751:3, 751:4, 837:15 <b>28</b> [8] - 704:15, 706:23, 707:2, 842:13, 843:14, 843:16, 844:3, 847:1 <b>28,000</b> [1] - 670:2 <b>285</b> [1] - 654:5 <b>28th</b> [2] - 676:11, 751:2 <b>29</b> [1] - 750:23 <b>296</b> [1] - 771:2 <b>29th</b> [1] - 805:19 <b>2:00</b> [3] - 722:20, 747:24 <b>2nd</b> [1] - 763:6	<b>4,000-plus</b> [1] - 758:7 <b>4,359</b> [1] - 774:14 <b>4-2</b> [1] - 754:16 <b>4-9</b> [1] - 774:20 <b>40</b> [7] - 670:21, 690:2, 691:6, 691:14, 702:18, 704:1, 704:16 <b>41</b> [1] - 676:9 <b>4300</b> [10] - 770:2, 774:3, 774:7, 774:20, 774:21, 775:6, 775:20, 776:18, 785:23, 807:11 <b>45</b> [1] - 671:22 <b>48</b> [1] - 673:3
<b>'</b>		<b>2</b>	<b>5</b>	
<b>'09</b> [1] - 766:1 <b>'96</b> [1] - 836:13	685:7, 685:9, 685:18, 689:22, 697:16, 699:2, 699:23, 700:4, 702:14 <b>13</b> [1] - 729:13 <b>13,8</b> [3] - 647:7, 669:13, 697:1 <b>13.8</b> [2] - 657:18, 669:5 <b>1300</b> [1] - 698:23 <b>137</b> [4] - 788:15, 789:2, 789:4, 791:21 <b>138th</b> [1] - 791:23 <b>13th</b> [10] - 682:16, 685:7, 685:9, 685:18, 689:22, 697:16, 699:2, 699:23, 700:4, 702:14 <b>14</b> [7] - 640:6, 642:1, 704:8, 704:9, 704:15, 705:13, 855:12 <b>14th</b> [1] - 700:4 <b>15-minute</b> [2] - 754:2, 754:5 <b>154</b> [1] - 770:24 <b>15th</b> [1] - 700:5 <b>16</b> [4] - 698:11, 704:16, 715:19, 716:14 <b>16-hour</b> [1] - 715:5 <b>164</b> [3] - 642:11, 778:15, 778:16 <b>16th</b> [4] - 755:15, 755:23, 766:14, 821:20 <b>17th</b> [4] - 793:24, 794:5, 794:6, 794:8 <b>18</b> [3] - 685:19, 698:11, 707:4 <b>186</b> [1] - 783:6 <b>19</b> [2] - 663:6, 663:7 <b>1992</b> [2] - 832:21, 832:22 <b>1996</b> [1] - 717:7 <b>19th</b> [5] - 677:15,	<b>2</b> [6] - 670:12, 676:7, 729:13, 777:18, 778:16 <b>2,090</b> [2] - 774:15, 775:7 <b>2-kV</b> [1] - 697:2 <b>20</b> [6] - 693:13, 707:3, 789:19, 802:7, 802:9, 829:16 <b>20,000</b> [1] - 719:18 <b>2005</b> [1] - 749:4 <b>2006</b> [1] - 835:20 <b>2007</b> [4] - 749:4, 770:24, 773:9, 773:20 <b>2008</b> [22] - 642:10, 676:11, 688:13, 689:3, 749:6, 763:7, 770:4, 771:2, 773:9, 773:20, 774:5, 780:8, 781:4, 781:12, 782:13, 810:1, 810:4, 811:8, 811:24, 812:23, 815:23, 820:16 <b>2009</b> [7] - 640:6, 642:1, 763:5, 763:6, 763:7, 788:13, 855:12 <b>2009-2010</b> [1] - 849:17 <b>20th</b> [3] - 702:14, 788:13, 823:10 <b>21</b> [1] - 769:14 <b>23</b> [1] - 747:15 <b>23rd</b> [11] - 658:15, 658:16, 670:13, 676:6, 709:20, 777:19, 778:17, 787:17, 790:21, 794:7, 843:19 <b>24</b> [6] - 655:12, 666:6, 666:7, 714:5, 794:14, 818:19 <b>24-hour</b> [1] - 794:2 <b>24th</b> [1] - 689:12 <b>25</b> [3] - 663:8, 808:6, 808:21 <b>25th</b> [5] - 701:21,	<b>3</b>	<b>5</b> [5] - 670:13, 773:18, 852:24, 853:1, 853:9 <b>50</b> [1] - 640:23 <b>51</b> [2] - 658:17, 658:18 <b>52</b> [1] - 672:19 <b>56</b> [1] - 820:3 <b>57</b> [2] - 807:10, 807:12 <b>5:00</b> [3] - 693:10, 699:15, 699:21 <b>5:05</b> [1] - 855:6 <b>5th</b> [1] - 763:7
<b>0</b>			<b>6</b>	
<b>01</b> [1] - 646:17 <b>02</b> [1] - 646:17 <b>02108</b> [1] - 641:15 <b>02109</b> [1] - 640:23 <b>02110-3173</b> [1] - 641:4 <b>02467</b> [1] - 820:4 <b>03842</b> [1] - 641:9 <b>0600</b> [1] - 690:4 <b>09-01-A</b> [2] - 640:4, 642:5			<b>6</b> [8] - 641:9, 670:14, 688:24, 771:1, 773:18, 777:21, 820:7, 820:22 <b>603.773.6440</b> [1] - 641:10 <b>603.773.6605</b> [1] - 641:10 <b>617.727.1047</b> [1] - 641:16 <b>617.727.2200</b> [1] - 641:16 <b>617.728.4404</b> [1] - 640:24 <b>617.748.6843</b> [1] - 641:4 <b>617.897.9043</b> [1] - 641:4 <b>640-858</b> [1] - 640:1 <b>644</b> [1] - 856:7 <b>654</b> [2] - 856:9,	
<b>1</b>	1 [5] - 676:8, 771:3, 847:1, 852:11, 852:12 <b>1-4</b> [1] - 807:19 <b>1.3</b> [1] - 775:14 <b>1/08/09</b> [1] - 762:14 <b>10</b> [2] - 715:7, 762:17 <b>100</b> [4] - 694:12, 694:23, 770:16, 802:8 <b>10:00</b> [1] - 821:20 <b>10:04</b> [2] - 640:6, 642:1 <b>11</b> [3] - 769:14, 806:18, 811:17 <b>115</b> [1] - 645:17 <b>115,000</b> [1] - 646:5 <b>11:00</b> [1] - 648:9 <b>11th</b> [8] - 650:24, 651:18, 652:13, 653:4, 655:1, 689:5, 755:13, 815:23 <b>12</b> [3] - 715:7, 716:13, 790:23 <b>12/29</b> [1] - 777:22 <b>12:00</b> [1] - 692:16 <b>12th</b> [52] - 642:10, 648:2, 648:21, 649:19, 651:1, 651:13, 652:14, 652:16, 656:15, 658:8, 659:1, 660:10, 663:3, 663:11, 663:20, 664:24,		<b>4</b>	<b>4</b> [7] - 640:1, 647:8, 657:19, 657:21, 669:5, 754:19, 851:1

856:13 <b>656</b> [1] - 858:13 <b>657</b> [1] - 856:14 <b>658</b> [1] - 856:15 <b>665</b> [1] - 856:16 <b>666</b> [1] - 856:17 <b>668</b> [2] - 856:18, 856:19 <b>669</b> [1] - 856:20 <b>678</b> [1] - 856:21 <b>68</b> [6] - 787:18, 787:20, 787:22, 788:9, 792:16, 793:5 <b>680</b> [1] - 856:22 <b>681</b> [1] - 856:23 <b>683</b> [1] - 856:24 <b>687</b> [1] - 858:8 <b>688</b> [1] - 857:2 <b>689</b> [1] - 857:7 <b>69</b> [2] - 657:18, 657:21 <b>69,000</b> [2] - 646:6, 647:7 <b>69,000-volt</b> [1] - 646:11 <b>69-kV</b> [14] - 647:16, 657:16, 668:13, 668:14, 668:18, 669:12, 695:19, 695:22, 696:2, 697:1, 700:4, 701:6, 711:14, 711:15 <b>69th</b> [1] - 792:16 <b>6:00</b> [2] - 692:15, 693:10	<b>762</b> [1] - 858:9 <b>769</b> [1] - 857:21 <b>778</b> [1] - 857:22 <b>779</b> [1] - 858:10 <b>78</b> [2] - 821:10, 821:19 <b>780</b> [1] - 857:23 <b>782</b> [1] - 858:14 <b>787</b> [1] - 857:24 <b>7:00</b> [26] - 648:9, 648:10, 650:6, 651:12, 652:16, 652:22, 656:14, 657:3, 663:2, 665:8, 665:12, 665:13, 665:17, 665:19, 665:22, 668:5, 669:8, 669:11, 669:15, 669:18, 669:21, 682:15, 692:18, 693:11	659:17, 661:10, 661:20, 662:4, 662:6, 662:9, 662:10, 662:11, 662:16, 665:9, 666:2, 666:5, 667:6, 667:7, 667:14, 668:2, 668:23, 669:17, 669:21, 669:22, 669:23, 670:17, 670:21, 671:3, 671:5, 671:9, 672:9, 672:10, 672:11, 672:13, 673:2, 673:8, 673:12, 673:13, 673:21, 674:2, 674:4, 674:6, 674:13, 674:19, 674:20, 675:3, 675:7, 676:12, 676:20, 677:8, 677:13, 677:23, 678:3, 678:12, 679:2, 679:10, 679:14, 679:16, 679:17, 679:23, 680:4, 680:9, 681:3, 681:4, 681:6, 681:9, 681:11, 681:12, 682:2, 682:12, 682:13, 682:21, 682:22, 682:23, 683:11, 683:12, 683:24, 684:17, 684:19, 685:10, 685:12, 685:14, 686:1, 686:3, 686:18, 687:6, 687:7, 687:18, 690:18, 690:19, 690:22, 692:8, 693:5, 693:11, 693:24, 694:9, 694:11, 694:13, 694:15, 694:16, 694:23, 695:1, 695:5, 696:3, 696:12, 697:22, 698:8, 698:21, 699:13, 699:17, 702:5, 703:24, 704:2, 704:10, 704:11, 704:12, 704:13, 704:14, 704:22, 704:24, 705:10, 705:22, 705:24, 706:1, 706:16, 707:6, 708:4, 708:6, 709:11, 709:21, 710:12, 711:4, 711:16, 712:6, 712:11, 712:18, 712:20, 712:22, 712:23, 713:1, 713:5, 713:6, 713:14, 713:17, 713:23, 714:5, 714:7, 714:10, 714:12, 715:5, 715:13, 715:17, 715:20, 715:21, 715:24, 716:13, 717:8, 717:11, 717:12, 717:20, 718:1, 718:2, 718:13, 718:16, 718:23, 719:4, 719:6, 719:8, 719:9, 719:10, 719:11, 719:24, 720:2, 720:5, 720:7, 720:23, 722:24, 723:1, 723:8, 723:24, 724:1, 725:6, 726:3, 726:4, 726:17, 726:21, 726:22, 726:24, 727:1, 727:2, 727:3, 727:18, 728:7, 728:10, 728:11, 728:23, 730:4, 730:8, 730:12, 730:13, 730:20, 730:22, 730:24, 731:2, 731:4, 731:13, 732:14, 733:2, 733:5, 733:16, 733:17, 733:21, 735:15, 735:23, 736:1, 736:2, 736:16, 736:17, 736:18, 736:19, 736:21, 737:4, 737:7, 737:17, 738:2, 738:3, 738:4, 738:12, 738:15, 738:16, 738:17, 738:19, 738:20, 739:2, 739:6, 739:7, 739:8, 739:12, 740:1, 740:10, 741:12, 741:23, 742:2, 742:9, 742:12, 742:20, 742:24, 743:1, 743:9, 743:15, 743:16, 743:23, 743:24, 744:5, 744:14, 744:20, 745:7, 745:15, 745:21, 745:24, 746:22, 747:10, 747:14, 747:22, 748:1, 748:9, 749:5, 749:11, 750:6, 750:8, 750:17, 750:20, 751:11, 751:19, 752:3, 753:3, 753:6, 754:8, 754:10, 754:18, 754:21, 755:16, 755:23, 756:4, 756:23, 757:5, 757:9, 757:20, 758:5, 758:12, 758:20, 758:22, 759:7, 759:8, 760:5, 761:6, 761:9, 761:13, 761:15, 761:18, 761:19, 762:1, 762:2, 762:4, 762:8, 762:10, 762:13, 763:4, 763:23, 764:13, 765:6, 765:10, 765:12, 765:14, 766:11, 766:21, 767:20, 767:21, 768:7, 768:12, 768:13, 768:18, 768:21, 768:23, 769:1, 769:19, 770:6, 770:7, 770:19, 770:22, 771:5, 771:24, 772:14, 772:20, 773:8, 773:12, 773:16, 773:19, 774:6, 774:17, 775:14, 775:21, 776:6, 776:7, 776:19, 777:7, 777:21, 777:22, 778:11, 778:19, 778:20, 778:24, 779:3, 779:6, 779:21, 780:2, 780:17, 780:18, 781:5, 782:6, 782:7, 783:16, 784:6, 784:15, 784:21, 784:24, 785:3, 785:4, 785:9, 785:11, 785:13, 785:23, 786:4, 786:10, 786:20, 786:24, 788:15, 789:7, 789:9, 789:10, 789:13, 790:22, 791:20, 791:23, 792:3, 792:4, 792:6, 792:8, 792:10, 792:14, 792:15, 792:18, 792:19, 793:10, 793:16, 793:21, 793:23, 794:1, 794:11, 794:19, 794:21, 795:9, 795:12, 795:17, 795:19,
<b>7</b>	<b>8</b>	
<b>7</b> [2] - 820:7, 820:22 <b>7.02</b> [1] - 676:9 <b>70</b> [2] - 691:6, 704:17 <b>708</b> [1] - 857:8 <b>709</b> [2] - 857:9, 857:10 <b>711</b> [1] - 857:11 <b>712</b> [1] - 857:12 <b>718</b> [1] - 857:13 <b>719</b> [1] - 857:14 <b>720</b> [1] - 857:15 <b>734</b> [1] - 857:16 <b>736</b> [1] - 857:17 <b>746</b> [1] - 857:18 <b>748</b> [1] - 857:19 <b>75</b> [1] - 790:22 <b>75-hour</b> [1] - 791:3 <b>759</b> [1] - 857:20 <b>76</b> [1] - 642:11	<b>8</b> [2] - 821:9, 821:11 <b>80</b> [1] - 789:19 <b>809</b> [1] - 858:1 <b>813</b> [1] - 858:2 <b>818</b> [1] - 858:15 <b>819</b> [1] - 858:4 <b>828</b> [1] - 858:5 <b>8:00</b> [2] - 648:22, 670:1 <b>8:30</b> [1] - 670:8 <b>8th</b> [1] - 763:5	
	<b>9</b>	
	<b>955</b> [1] - 806:23 <b>9:00</b> [3] - 722:2, 854:6, 855:5	
	<b>A</b>	
	<b>A</b> [9] - 669:1, 669:12, 679:16, 681:18, 684:19, 754:19, 786:5, 838:14, 854:4 <b>a</b> [664] - 642:15, 644:20, 644:21, 644:23, 645:2, 645:19, 645:23, 645:24, 646:12, 646:23, 647:2, 648:7, 648:12, 648:17, 650:7, 651:2, 651:20, 655:1, 655:12, 655:17, 658:2, 658:4,	

<p>795:22, 795:23, 795:24, 796:3, 796:12, 796:23, 797:2, 797:4, 797:12, 797:16, 798:9, 798:20, 799:5, 799:6, 799:22, 800:3, 800:7, 800:18, 801:3, 801:7, 801:11, 801:20, 801:23, 802:1, 802:2, 802:6, 802:7, 802:18, 803:11, 803:14, 803:15, 803:16, 803:19, 803:21, 803:22, 804:4, 804:8, 804:13, 804:24, 805:7, 805:23, 807:4, 807:8, 808:2, 808:22, 809:22, 810:13, 811:7, 811:18, 812:6, 812:8, 812:18, 812:21, 813:2, 813:19, 814:6, 814:21, 814:24, 815:8, 815:11, 815:16, 816:17, 816:20, 817:6, 817:11, 817:20, 818:5, 818:10, 818:23, 821:1, 821:3, 821:8, 821:9, 821:16, 821:22, 822:18, 822:19, 823:2, 823:6, 823:9, 823:17, 824:1, 824:2, 824:3, 824:5, 824:9, 824:13, 824:23, 826:8, 826:10, 826:13, 827:3, 827:5, 827:7, 827:8, 827:16, 827:19, 827:22, 828:16, 828:24, 829:13, 830:10, 830:15, 830:21, 831:3, 831:7, 831:10, 831:23, 832:2, 832:11, 832:12, 832:18, 832:24, 833:14, 833:15, 833:17, 833:18, 833:21, 834:11, 834:20, 834:22, 834:24, 835:5, 835:6, 835:19, 835:21, 836:17, 836:18, 837:19, 838:12, 838:14, 838:17, 838:23, 839:2,</p>	<p>839:16, 839:17, 840:2, 840:3, 840:12, 840:14, 840:15, 840:17, 840:20, 841:22, 842:1, 842:6, 842:10, 842:11, 843:6, 843:24, 844:6, 844:10, 845:4, 845:5, 845:7, 845:13, 845:16, 845:22, 845:24, 846:6, 846:10, 846:19, 846:21, 846:22, 847:9, 847:14, 847:16, 847:19, 848:2, 848:11, 849:5, 849:11, 849:13, 849:15, 849:16, 849:22, 849:23, 849:24, 850:11, 851:4, 851:10, 851:13, 851:14, 851:17, 851:19, 851:24, 852:3, 852:19, 853:16, 853:20, 853:21, 853:22, 854:1, 854:17, 855:11 <b>a.m</b> [19] - 640:6, 642:1, 648:9, 648:10, 651:12, 652:16, 652:23, 656:14, 657:3, 663:3, 665:8, 665:12, 665:13, 665:17, 665:19, 669:18, 682:15, 692:15, 722:2 <b>abandon</b> [1] - 793:18 <b>abandoned</b> [4] - 793:12, 793:22, 798:23, 799:3 <b>ability</b> [4] - 764:10, 764:11, 764:12, 836:3 <b>able</b> [26] - 667:4, 696:8, 721:10, 722:14, 723:13, 737:23, 742:6, 744:9, 746:2, 751:12, 753:9, 778:10, 784:11, 784:14, 786:3, 791:20, 793:11, 793:13, 795:21, 796:4, 800:12, 804:20, 834:22, 841:6, 847:10, 848:4 <b>abnormal</b> [1] - 701:3 <b>about</b> [110] - 645:4, 647:18, 651:24,</p>	<p>664:22, 665:13, 665:16, 667:5, 668:13, 669:5, 672:5, 672:6, 675:19, 675:22, 676:2, 677:4, 677:8, 677:13, 677:23, 681:7, 681:17, 694:5, 698:2, 704:6, 704:19, 705:2, 706:7, 714:9, 714:13, 714:14, 723:2, 724:3, 726:10, 727:8, 728:10, 728:12, 728:14, 728:15, 729:3, 729:16, 730:11, 732:2, 733:7, 734:2, 734:3, 734:6, 735:15, 736:18, 740:19, 741:4, 742:13, 742:18, 744:9, 744:10, 745:7, 748:10, 748:23, 754:7, 754:19, 760:3, 761:24, 763:23, 764:5, 765:10, 765:24, 768:23, 769:21, 775:2, 775:13, 775:23, 776:23, 777:16, 777:23, 778:4, 778:6, 778:11, 778:15, 780:10, 780:12, 788:6, 790:13, 791:21, 791:23, 793:2, 793:5, 795:6, 796:9, 797:20, 797:21, 800:21, 803:18, 804:11, 805:19, 806:1, 806:2, 806:5, 806:8, 813:20, 816:23, 818:23, 824:16, 824:18, 827:24, 830:8, 835:6, 835:24, 836:12, 837:12, 845:20, 846:13, 853:21 <b>above</b> [1] - 674:10 <b>absolutely</b> [2] - 714:11, 742:19 <b>abutting</b> [1] - 703:2 <b>acceptance</b> [1] - 834:2 <b>access</b> [1] - 726:21 <b>accessible</b> [1] - 685:2 <b>accomplished</b> [1] - 719:13 <b>According</b> [1] -</p>	<p>794:6 <b>according</b> [1] - 670:2 <b>account</b> [2] - 714:22, 808:10 <b>Account</b> [1] - 783:6 <b>accounted</b> [1] - 712:13 <b>accounting</b> [13] - 780:15, 780:18, 781:2, 781:18, 782:3, 782:11, 782:22, 783:4, 783:7, 783:9, 783:13, 784:12, 784:19 <b>accounts</b> [4] - 752:20, 752:21, 780:9, 808:8 <b>accurate</b> [14] - 647:12, 647:13, 648:10, 694:16, 719:17, 724:12, 730:16, 741:2, 744:7, 752:24, 781:4, 785:10, 786:4, 825:13 <b>accurately</b> [1] - 781:19 <b>acquire</b> [1] - 845:16 <b>acquisition</b> [2] - 790:4, 790:14 <b>across</b> [6] - 691:3, 693:23, 710:2, 726:23, 773:13, 851:15 <b>act</b> [2] - 674:24, 845:3 <b>acting</b> [1] - 649:24 <b>action</b> [1] - 814:13 <b>Action</b> [1] - 852:20 <b>actions</b> [1] - 822:23 <b>actively</b> [1] - 832:22 <b>activities</b> [4] - 644:21, 651:12, 748:11, 810:22 <b>activity</b> [3] - 666:3, 666:5, 682:14 <b>acts</b> [1] - 729:20 <b>actual</b> [44] - 715:7, 716:20, 750:6, 750:9, 750:16, 751:1, 752:1, 753:6, 755:22, 756:18, 756:19, 757:18, 757:22, 759:5, 760:11, 760:21, 763:11, 763:18, 763:20, 764:3, 764:8, 764:14, 764:20, 764:24,</p>	<p>765:16, 766:3, 766:7, 766:20, 769:3, 770:17, 800:11, 800:21, 804:21, 805:5, 808:12, 808:16, 808:24, 809:1, 809:8, 809:9, 809:14, 809:16, 809:17 <b>actual-read</b> [2] - 764:3, 764:20 <b>actually</b> [27] - 683:15, 685:13, 686:4, 692:7, 695:20, 697:5, 709:11, 709:17, 719:13, 720:3, 720:4, 738:13, 751:2, 752:23, 755:13, 764:6, 780:24, 786:19, 793:8, 793:13, 809:2, 816:6, 817:9, 830:9, 843:5, 843:19, 845:17 <b>Actually</b> [1] - 749:14 <b>add</b> [15] - 671:24, 732:14, 744:20, 744:21, 758:2, 761:5, 772:7, 790:6, 795:5, 798:22, 801:22, 802:10, 805:22, 839:24, 844:2 <b>added</b> [6] - 687:18, 715:14, 715:18, 715:22, 788:13, 815:2 <b>adding</b> [1] - 653:16 <b>addition</b> [23] - 647:17, 657:21, 665:17, 675:7, 697:18, 711:18, 739:14, 765:2, 767:14, 767:18, 768:10, 768:21, 780:21, 783:14, 785:15, 786:2, 788:9, 790:5, 790:14, 793:4, 797:6, 799:4, 821:7 <b>additional</b> [25] - 670:21, 692:2, 698:15, 698:19, 700:18, 702:24, 705:15, 706:2, 706:9, 707:19, 720:19, 728:22, 729:4, 735:18, 744:8, 744:10, 759:21, 788:14, 789:24, 790:2, 790:7, 790:8, 798:10, 854:8, 854:9</p>
---	---	--	---	---

<p><b>address</b> [11] - 654:3, 654:5, 688:4, 688:9, 688:21, 688:24, 725:6, 817:21, 820:1, 820:3, 839:7</p> <p><b>addressed</b> [2] - 821:22, 837:9</p> <p><b>addressing</b> [1] - 828:17</p> <p><b>adequate</b> [3] - 742:4, 745:14, 796:21</p> <p><b>adjust</b> [1] - 720:3</p> <p><b>adjusted</b> [1] - 750:18</p> <p><b>adjustment</b> [10] - 781:6, 781:24, 782:1, 782:21, 782:24, 783:10, 783:11, 783:15, 784:9, 809:5</p> <p><b>adjustments</b> [5] - 780:9, 807:20, 807:22, 808:7, 808:8</p> <p><b>adopt</b> [1] - 822:9</p> <p><b>adopting</b> [1] - 832:7</p> <p><b>advance</b> [3] - 833:24, 841:11, 843:3</p> <p><b>Advanced</b> [1] - 748:24</p> <p><b>advantage</b> [1] - 679:4</p> <p><b>advice</b> [1] - 808:5</p> <p><b>adviser</b> [1] - 820:2</p> <p><b>advisories</b> [1] - 670:15</p> <p><b>aerial</b> [1] - 679:9</p> <p><b>aerially</b> [1] - 681:13</p> <p><b>affect</b> [5] - 646:2, 646:9, 713:12, 747:16, 747:20</p> <p><b>affected</b> [10] - 672:19, 747:15, 769:11, 792:23, 806:19, 806:24, 833:6, 833:9, 833:11, 833:12</p> <p><b>affecting</b> [1] - 838:20</p> <p><b>after</b> [33] - 670:20, 675:15, 675:16, 698:22, 700:19, 701:21, 704:20, 705:7, 705:23, 722:3, 748:8, 753:6, 754:3, 764:6, 771:11, 789:17, 790:8, 790:10, 799:12, 799:16, 806:1, 806:2, 813:9, 815:5, 815:7, 823:13, 824:13,</p>	<p>830:10, 830:18, 831:4, 832:1, 839:8, 850:17</p> <p><b>After</b> [1] - 791:14</p> <p><b>after-call</b> [1] - 789:17</p> <p><b>after-the-fact</b> [1] - 831:4</p> <p><b>afternoon</b> [10] - 672:4, 680:19, 685:15, 698:24, 699:22, 700:17, 748:21, 748:23, 787:13, 809:21</p> <p><b>AG</b> [1] - 673:15</p> <p><b>AG-5-127</b> [1] - 852:11</p> <p><b>AG-5-175</b> [1] - 833:21</p> <p><b>again</b> [24] - 646:18, 657:11, 662:15, 700:20, 704:21, 705:23, 706:4, 706:20, 720:18, 721:11, 728:12, 732:11, 732:13, 764:8, 784:16, 802:9, 813:21, 816:1, 816:3, 818:9, 822:3, 846:12, 850:23, 851:13</p> <p><b>agency</b> [1] - 810:10</p> <p><b>Agency</b> [4] - 810:11, 811:14, 811:17, 811:23</p> <p><b>agents</b> [1] - 793:14</p> <p><b>aggregate</b> [1] - 781:14</p> <p><b>agitation</b> [1] - 758:13</p> <p><b>ago</b> [1] - 754:18</p> <p><b>agree</b> [6] - 673:9, 673:10, 712:4, 737:14, 776:18, 846:24</p> <p><b>agreed</b> [2] - 681:8, 841:19</p> <p><b>agreement</b> [1] - 846:15</p> <p><b>ahead</b> [5] - 659:13, 677:11, 703:21, 806:7, 817:1</p> <p><b>ahold</b> [1] - 706:16</p> <p><b>aid</b> [4] - 690:20, 702:13, 702:16, 702:17</p> <p><b>Alan</b> [3] - 640:22, 855:9, 855:23</p> <p><b>alerted</b> [1] - 794:24</p> <p><b>algorithm</b> [1] -</p>	<p>719:21</p> <p><b>All</b> [6] - 686:9, 700:6, 714:14, 787:9, 788:8, 809:13</p> <p><b>all</b> [95] - 643:19, 644:11, 646:24, 647:4, 649:21, 655:2, 655:14, 656:2, 658:2, 664:3, 664:16, 666:14, 666:15, 667:10, 667:12, 668:17, 670:14, 671:3, 675:8, 683:22, 685:5, 687:6, 687:7, 691:3, 692:16, 695:4, 695:10, 695:20, 697:1, 697:10, 700:1, 700:4, 700:10, 700:12, 700:16, 700:24, 701:2, 701:10, 701:15, 701:18, 701:20, 702:21, 706:5, 710:2, 716:6, 717:19, 722:24, 723:1, 723:4, 724:10, 731:9, 736:20, 737:7, 737:8, 746:6, 747:8, 747:14, 747:15, 747:20, 749:18, 751:8, 758:23, 761:6, 763:12, 764:15, 767:11, 767:23, 767:24, 769:12, 777:8, 777:9, 782:9, 791:15, 795:13, 795:19, 795:20, 799:2, 802:3, 803:9, 804:19, 809:7, 809:15, 809:16, 813:5, 822:1, 828:5, 835:18, 836:9, 847:5, 847:22, 848:9, 852:4</p> <p><b>allocate</b> [1] - 718:15</p> <p><b>allow</b> [3] - 715:12, 789:4, 819:3</p> <p><b>allowing</b> [1] - 769:6</p> <p><b>almost</b> [5] - 723:1, 745:15, 812:8, 813:3, 830:11</p> <p><b>Along</b> [1] - 674:23</p> <p><b>along</b> [2] - 709:4, 851:6</p> <p><b>already</b> [8] - 689:24, 697:20, 708:11, 711:22, 734:22, 795:14, 831:13, 851:9</p> <p><b>Also</b> [2] - 642:14,</p>	<p>643:1</p> <p><b>also</b> [43] - 642:15, 647:8, 660:2, 664:23, 665:19, 671:15, 674:14, 675:14, 677:19, 713:9, 721:21, 729:9, 729:11, 734:8, 736:9, 741:11, 745:13, 749:6, 761:9, 765:2, 767:11, 767:18, 768:24, 770:21, 773:7, 774:18, 791:13, 796:15, 797:10, 798:22, 801:17, 805:12, 806:24, 816:10, 818:1, 818:2, 818:23, 820:18, 824:19, 831:3, 839:13, 840:12, 849:23</p> <p><b>although</b> [4] - 734:17, 774:13, 798:19, 824:7</p> <p><b>Although</b> [1] - 768:8</p> <p><b>always</b> [8] - 647:1, 648:11, 651:21, 752:3, 753:18, 790:6, 826:4, 838:19</p> <p><b>am</b> [7] - 642:12, 676:6, 810:12, 811:15, 811:19, 811:21, 821:2</p> <p><b>AMI</b> [20] - 666:20, 666:22, 667:5, 667:9, 748:23, 749:3, 749:20, 749:24, 750:5, 770:15, 771:11, 771:12, 772:10, 773:11, 785:18, 800:15, 801:7, 801:15, 801:24, 802:24</p> <p><b>among</b> [4] - 670:24, 747:14, 758:13, 829:21</p> <p><b>amount</b> [9] - 712:17, 719:3, 724:23, 775:14, 776:22, 780:23, 783:16, 784:3, 840:12</p> <p><b>amounts</b> [1] - 825:14</p> <p><b>an</b> [152] - 645:14, 664:5, 664:11, 673:15, 679:10, 680:3, 681:13, 686:20, 690:8, 691:19, 694:19,</p>	<p>709:6, 712:1, 713:2, 713:17, 713:22, 713:23, 716:4, 719:5, 719:10, 719:12, 719:18, 724:5, 724:20, 725:6, 726:21, 727:1, 727:3, 727:4, 732:8, 733:6, 736:7, 738:21, 740:1, 742:4, 744:7, 745:11, 745:18, 750:4, 750:8, 750:16, 752:1, 752:11, 753:5, 756:13, 756:18, 757:8, 757:11, 757:17, 758:7, 758:10, 758:17, 760:11, 760:14, 760:20, 760:21, 763:18, 764:3, 764:5, 764:14, 764:20, 764:23, 765:3, 765:16, 766:7, 766:23, 767:1, 767:13, 767:18, 767:22, 769:22, 770:17, 771:16, 774:17, 774:18, 774:23, 774:24, 776:8, 780:21, 780:22, 781:2, 781:13, 783:12, 783:14, 784:19, 784:20, 784:22, 785:21, 786:9, 789:9, 789:18, 792:5, 792:10, 796:18, 799:4, 799:12, 799:17, 799:22, 799:23, 801:2, 801:18, 801:24, 802:6, 803:5, 803:11, 804:17, 804:21, 804:22, 807:6, 807:7, 807:12, 807:24, 808:10, 808:12, 808:19, 808:23, 808:24, 809:16, 810:10, 814:23, 817:12, 818:19, 819:9, 821:7, 821:14, 823:11, 825:11, 826:5, 827:1, 829:20, 830:24, 831:2, 831:4, 832:10, 832:18, 842:6, 843:18, 844:24, 845:3, 846:14, 846:16,</p>
--	---	--	---	--

848:17, 851:9, 851:22, 852:2, 852:6 <b>An</b> [2] - 681:15, 823:15 <b>analysis</b> [17] - 683:13, 708:8, 719:16, 780:7, 780:17, 780:22, 784:23, 788:18, 788:22, 789:14, 792:5, 794:23, 831:4, 832:10, 832:11, 848:8 <b>Analyst</b> [3] - 640:17, 640:18, 640:21 <b>analyst</b> [1] - 643:7 <b>AND</b> [1] - 640:8 <b>And</b> [170] - 646:18, 647:15, 649:2, 649:5, 649:8, 649:21, 649:24, 651:1, 651:11, 652:12, 652:16, 655:9, 657:11, 657:18, 658:7, 659:12, 659:20, 660:10, 663:14, 664:22, 666:2, 666:11, 666:13, 666:18, 666:20, 667:13, 668:22, 669:8, 670:10, 670:13, 670:17, 670:20, 675:15, 676:8, 677:4, 677:7, 680:19, 682:13, 683:15, 684:12, 685:20, 688:19, 689:2, 689:10, 690:9, 690:17, 691:4, 691:22, 694:20, 696:17, 696:20, 699:24, 703:17, 706:19, 706:21, 708:9, 709:14, 711:2, 713:7, 720:13, 722:4, 722:13, 722:24, 723:18, 724:7, 724:18, 727:16, 729:8, 729:21, 731:24, 733:6, 733:11, 734:15, 735:17, 737:3, 739:2, 739:10, 742:8, 742:20, 743:3, 744:4, 749:8, 750:24, 751:2, 751:4, 751:8, 751:16, 752:14, 753:12, 755:13, 755:15,	756:2, 756:22, 759:1, 759:2, 761:13, 763:8, 763:10, 763:12, 763:22, 766:5, 766:9, 767:3, 767:19, 767:22, 768:4, 768:6, 768:16, 768:21, 769:13, 770:13, 772:14, 774:5, 778:15, 780:6, 781:16, 783:20, 783:22, 786:2, 786:21, 788:12, 790:21, 794:16, 797:12, 797:16, 798:12, 801:16, 805:8, 806:6, 806:10, 806:13, 806:22, 807:13, 807:18, 810:7, 810:24, 814:1, 815:4, 815:9, 817:15, 820:15, 820:18, 820:22, 821:4, 821:11, 822:8, 825:6, 827:23, 829:19, 830:10, 831:15, 832:1, 832:4, 832:5, 832:16, 833:2, 833:10, 833:14, 833:21, 834:18, 838:8, 839:13, 839:19, 840:15, 842:8, 843:18, 846:5, 848:19, 849:18, 853:5 <b>and</b> [525] - 640:16, 641:6, 641:11, 642:7, 642:8, 642:11, 642:12, 642:17, 642:22, 643:6, 643:19, 643:22, 644:2, 644:4, 644:9, 645:1, 645:3, 645:4, 645:19, 645:20, 645:21, 646:8, 646:17, 646:21, 647:17, 647:19, 647:22, 648:9, 648:16, 651:1, 652:2, 652:3, 652:4, 652:13, 652:17, 653:22, 654:3, 654:6, 654:16, 655:8, 655:23, 656:4, 656:6, 656:16, 656:20, 657:11, 657:19, 659:9, 660:22, 660:23, 662:5, 662:6, 662:8, 662:18, 663:21,	663:22, 664:6, 665:4, 665:18, 667:11, 667:16, 668:6, 668:9, 668:22, 669:5, 669:13, 672:3, 672:6, 672:15, 673:4, 673:15, 673:21, 674:5, 674:11, 674:20, 674:24, 675:3, 675:11, 675:23, 676:16, 676:23, 678:1, 678:10, 679:17, 680:18, 681:8, 681:12, 681:13, 682:9, 682:15, 682:16, 682:24, 683:20, 684:6, 684:13, 684:18, 685:3, 685:5, 685:10, 685:13, 687:20, 687:22, 687:23, 688:4, 688:8, 688:20, 689:11, 689:18, 690:7, 691:13, 692:7, 692:9, 692:13, 693:2, 693:23, 694:4, 694:5, 695:21, 696:2, 696:9, 697:3, 698:10, 698:21, 699:20, 700:20, 701:9, 702:3, 702:12, 702:23, 703:4, 703:21, 704:12, 704:16, 704:21, 705:1, 706:2, 706:10, 707:4, 707:8, 707:12, 707:17, 707:23, 708:8, 709:3, 709:16, 710:1, 710:2, 710:12, 711:3, 711:16, 712:2, 712:4, 712:9, 714:9, 714:12, 715:10, 716:15, 717:6, 717:8, 717:14, 718:2, 718:4, 718:19, 720:9, 720:10, 720:11, 720:12, 720:23, 720:24, 721:19, 721:20, 721:23, 722:8, 722:20, 723:2, 723:5, 723:16, 723:22, 724:4, 724:8, 724:11, 724:12, 724:13, 724:18, 725:5, 725:9, 725:19, 726:22, 726:23, 727:1, 727:2, 727:11, 727:24,	728:5, 728:18, 728:19, 728:21, 729:7, 729:13, 729:18, 730:9, 730:10, 730:16, 730:22, 732:15, 732:16, 732:19, 732:21, 733:23, 734:19, 735:8, 735:12, 735:22, 736:13, 737:7, 737:10, 737:21, 738:9, 738:23, 739:18, 740:3, 740:15, 741:10, 741:13, 741:18, 742:6, 742:11, 742:23, 743:15, 744:6, 744:14, 744:21, 745:1, 745:4, 745:11, 745:16, 746:10, 746:13, 746:14, 747:3, 747:9, 747:11, 748:1, 748:2, 748:10, 748:14, 748:16, 748:17, 749:5, 750:6, 750:10, 750:21, 750:22, 751:1, 751:13, 752:1, 752:4, 752:6, 752:21, 753:4, 753:13, 753:18, 754:2, 754:4, 754:8, 755:2, 755:19, 755:21, 756:8, 756:10, 756:19, 757:20, 757:22, 758:4, 758:17, 759:1, 759:8, 759:16, 760:8, 760:10, 760:20, 761:22, 763:16, 766:22, 767:11, 767:18, 768:21, 769:1, 769:21, 770:19, 771:3, 771:7, 771:13, 772:2, 772:3, 772:11, 772:21, 773:9, 773:18, 773:20, 773:21, 774:13, 774:24, 775:7, 775:11, 775:15, 775:24, 776:2, 776:16, 776:20, 777:3, 777:24, 778:2, 778:4, 778:6, 779:11, 780:8, 780:10, 780:22, 781:10, 782:4, 782:10, 783:14,	783:18, 784:6, 784:20, 784:22, 785:9, 785:21, 786:11, 786:12, 787:3, 787:4, 787:15, 788:8, 788:10, 788:14, 789:7, 789:12, 789:17, 789:21, 790:9, 790:14, 790:15, 790:17, 791:10, 791:13, 791:15, 791:19, 792:2, 792:4, 792:11, 792:20, 793:3, 793:4, 794:11, 794:15, 794:19, 794:20, 795:9, 795:10, 795:11, 795:14, 795:16, 795:21, 796:2, 796:15, 797:1, 797:3, 797:9, 797:10, 798:2, 798:9, 798:15, 799:2, 799:7, 799:19, 800:15, 801:4, 801:17, 801:18, 801:24, 802:8, 802:18, 802:22, 803:3, 803:15, 803:17, 803:21, 803:22, 804:7, 804:9, 804:24, 805:12, 806:4, 806:5, 806:7, 806:8, 808:1, 808:5, 808:18, 808:20, 808:21, 810:8, 812:6, 812:15, 812:16, 813:18, 813:19, 816:11, 816:17, 817:8, 817:13, 819:4, 820:1, 820:7, 820:14, 820:22, 821:2, 822:2, 822:3, 822:19, 822:23, 822:24, 823:4, 823:8, 823:13, 824:1, 824:6, 824:9, 824:10, 824:22, 825:22, 826:8, 826:12, 826:13, 826:15, 826:17, 826:20, 827:3, 827:6, 827:9, 828:1, 828:4, 828:8, 828:16, 828:17, 829:11, 831:5, 831:17, 833:4, 833:6, 834:14, 835:8, 835:11, 835:14, 835:20, 836:1, 837:7,
---	--	---	---	--



<p>837:16, 837:18, 837:20, 838:6, 838:17, 838:21, 838:24, 839:2, 839:8, 839:10, 839:15, 840:4, 840:7, 840:23, 841:7, 841:22, 842:2, 842:6, 842:21, 843:11, 844:1, 844:20, 844:23, 845:16, 846:11, 846:12, 846:14, 846:20, 847:21, 848:15, 848:24, 850:23, 851:9, 852:5, 852:15, 853:4, 854:8, 855:4, 856:5, 856:12, 857:1, 857:6</p> <p><b>and...</b> [1] - 777:5</p> <p><b>anger</b> [1] - 758:17</p> <p><b>angry</b> [2] - 758:6, 759:1</p> <p><b>announcement</b> [2] - 655:2, 670:8</p> <p><b>another</b> [16] - 646:16, 646:22, 648:9, 653:16, 706:11, 726:2, 746:14, 747:17, 757:21, 763:22, 775:11, 787:9, 807:10, 812:2, 830:7, 852:7</p> <p><b>answer</b> [29] - 650:18, 653:17, 667:4, 674:7, 695:13, 703:21, 706:3, 716:3, 721:10, 743:7, 743:8, 743:9, 743:10, 745:16, 745:18, 753:15, 777:6, 777:15, 784:16, 787:3, 790:2, 791:8, 793:11, 793:12, 801:2, 804:2, 804:17, 838:12, 848:24</p> <p><b>answered</b> [5] - 770:22, 789:19, 793:14, 793:17, 798:24</p> <p><b>answering</b> [2] - 798:6, 799:2</p> <p><b>answers</b> [2] - 651:9, 759:4</p> <p><b>anticipate</b> [3] - 685:8, 757:19, 789:23</p> <p><b>anticipated</b> [1] - 720:17</p>	<p><b>anticipates</b> [1] - 740:23</p> <p><b>anticipating</b> [1] - 683:22</p> <p><b>anxious</b> [2] - 824:15, 849:13</p> <p><b>Any</b> [4] - 732:21, 828:18, 837:21, 845:9</p> <p><b>any</b> [95] - 646:1, 646:7, 650:7, 650:16, 651:12, 652:21, 656:21, 665:5, 666:20, 669:9, 673:19, 677:11, 679:21, 693:19, 693:22, 696:14, 697:17, 701:2, 704:23, 705:14, 705:15, 705:21, 706:6, 706:8, 717:22, 724:16, 724:22, 731:17, 744:17, 746:15, 746:18, 747:9, 753:19, 755:8, 756:10, 757:15, 759:12, 759:13, 759:20, 759:24, 761:10, 763:21, 766:2, 770:11, 776:23, 776:24, 781:22, 782:21, 786:22, 788:18, 789:17, 796:5, 796:24, 797:3, 798:10, 799:15, 804:21, 807:14, 811:23, 816:6, 820:19, 821:4, 823:16, 823:22, 825:23, 826:21, 833:1, 833:23, 834:4, 834:16, 835:16, 835:17, 836:5, 837:13, 837:23, 838:1, 839:21, 841:2, 841:8, 842:3, 844:14, 847:1, 847:3, 847:23, 848:8, 848:9, 848:20, 849:8, 850:10, 850:11, 851:6, 852:21, 853:5, 853:18</p> <p><b>anybody</b> [3] - 731:9, 745:16, 843:5</p> <p><b>anyone</b> [2] - 769:20, 846:9</p> <p><b>Anything</b> [1] - 855:3</p> <p><b>anything</b> [12] - 667:10, 714:15,</p>	<p>742:13, 758:14, 767:8, 816:23, 828:2, 834:10, 834:18, 835:12, 842:3, 842:5</p> <p><b>anytime</b> [1] - 843:14</p> <p><b>apologize</b> [2] - 699:9, 705:8</p> <p><b>apparatus</b> [1] - 661:10</p> <p><b>apparent</b> [1] - 689:6</p> <p><b>appear</b> [1] - 821:18</p> <p><b>APPEARANCES</b> [1] - 641:1</p> <p><b>appeared</b> [2] - 774:16, 821:16</p> <p><b>appearing</b> [2] - 643:1, 821:10</p> <p><b>appears</b> [2] - 778:16, 850:24</p> <p><b>appliances</b> [4] - 799:13, 799:16, 800:8, 801:1</p> <p><b>applied</b> [2] - 760:8, 786:19</p> <p><b>applies</b> [1] - 753:13</p> <p><b>apply</b> [1] - 835:8</p> <p><b>applying</b> [1] - 693:23</p> <p><b>appraisers</b> [1] - 707:18</p> <p><b>approach</b> [2] - 695:14, 752:20</p> <p><b>approaches</b> [1] - 674:16</p> <p><b>appropriate</b> [11] - 674:7, 675:12, 679:3, 783:13, 827:6, 831:6, 842:6, 843:8, 843:11, 848:16, 849:21</p> <p><b>appropriately</b> [1] - 819:4</p> <p><b>approved</b> [1] - 763:23</p> <p><b>approximately</b> [15] - 648:22, 670:4, 673:8, 691:5, 692:19, 699:5, 702:10, 707:21, 770:2, 774:3, 780:16, 794:14, 799:15, 807:10, 807:12</p> <p><b>Approximately</b> [1] - 669:20</p> <p><b>approximations</b> [1] - 719:17</p> <p><b>architect</b> [2] - 829:2, 829:5</p> <p><b>arcing</b> [1] - 725:6</p> <p><b>are</b> [98] - 642:16,</p>	<p>643:14, 644:11, 645:19, 646:6, 646:10, 646:17, 646:19, 647:1, 647:7, 647:15, 651:7, 653:16, 657:16, 659:6, 659:24, 660:1, 660:10, 660:16, 662:7, 664:13, 664:18, 664:19, 664:21, 668:16, 671:6, 674:11, 675:1, 675:7, 675:12, 683:17, 696:15, 714:15, 716:14, 717:2, 719:16, 724:17, 724:18, 724:19, 724:20, 725:4, 728:20, 728:24, 729:15, 743:11, 751:13, 753:19, 762:21, 767:11, 771:19, 772:3, 772:7, 773:15, 774:3, 776:10, 776:11, 779:20, 782:2, 784:8, 787:1, 787:13, 787:23, 788:4, 788:5, 788:9, 790:5, 790:19, 791:9, 791:15, 791:23, 793:4, 802:15, 807:3, 807:13, 811:20, 817:17, 817:24, 818:2, 820:13, 825:23, 825:24, 827:8, 828:2, 830:13, 832:5, 835:9, 840:15, 842:22, 843:9, 843:10, 843:22, 845:24, 847:8, 847:24, 849:2, 849:3, 853:4</p> <p><b>Are</b> [12] - 659:23, 664:16, 667:16, 667:19, 722:5, 781:22, 810:10, 811:12, 811:16, 833:22, 847:3, 847:19</p> <p><b>area</b> [19] - 656:19, 680:3, 713:18, 713:23, 714:1, 716:5, 725:5, 735:24, 747:4, 747:6, 747:16, 826:24, 831:24, 834:4, 834:16, 835:6, 837:8, 837:10, 848:18</p> <p><b>areas</b> [11] - 646:24,</p>	<p>647:19, 656:22, 711:18, 729:10, 749:15, 823:4, 825:16, 832:23, 835:14, 835:15</p> <p><b>aren't</b> [3] - 729:14, 741:9, 790:18</p> <p><b>arms</b> [1] - 852:4</p> <p><b>around</b> [10] - 659:21, 664:16, 682:16, 699:20, 706:23, 820:20, 827:8, 827:10, 845:8, 852:5</p> <p><b>arrangement</b> [1] - 646:1</p> <p><b>arrivals</b> [1] - 699:10</p> <p><b>arrived</b> [3] - 688:14, 699:13, 699:14</p> <p><b>arriving</b> [1] - 685:14</p> <p><b>Arsenault</b> [1] - 640:23</p> <p><b>art</b> [1] - 845:22</p> <p><b>articulate</b> [1] - 751:12</p> <p><b>As</b> [22] - 647:21, 655:4, 683:10, 704:20, 735:6, 736:1, 740:4, 743:16, 747:14, 749:3, 749:22, 755:1, 755:6, 757:11, 778:20, 779:8, 780:14, 784:18, 791:4, 822:22, 825:9, 827:17</p> <p><b>as</b> [216] - 642:22, 643:9, 644:23, 645:3, 645:13, 645:14, 645:18, 649:24, 652:5, 652:16, 652:19, 655:17, 657:3, 659:17, 659:23, 662:19, 662:23, 664:2, 664:9, 664:17, 664:21, 667:5, 669:15, 671:6, 671:11, 671:15, 673:18, 674:10, 674:11, 675:4, 675:5, 675:14, 678:17, 680:16, 680:17, 680:21, 682:1, 684:24, 686:20, 688:18, 690:1, 690:24, 691:19, 692:22, 694:22, 695:18, 695:24, 696:1, 696:19, 696:23, 697:14,</p>
---	---	---	---	--

700:21, 702:11,  
705:20, 706:21,  
708:4, 709:6, 710:13,  
710:14, 711:9, 712:5,  
714:4, 719:5, 721:13,  
721:18, 727:22,  
728:13, 729:20,  
730:8, 730:13, 731:4,  
733:12, 733:13,  
733:14, 733:17,  
734:24, 739:14,  
740:6, 740:7, 741:15,  
743:5, 744:4, 744:16,  
744:17, 744:21,  
747:9, 747:20, 750:8,  
751:16, 752:14,  
755:4, 756:11,  
756:13, 756:19,  
756:20, 757:24,  
758:21, 760:14,  
760:20, 761:8, 761:9,  
761:12, 762:4,  
762:17, 763:17,  
763:24, 765:11,  
766:11, 766:17,  
766:18, 766:23,  
769:22, 769:24,  
770:1, 771:5, 771:21,  
774:6, 774:16,  
774:17, 775:22,  
776:2, 776:19,  
779:13, 780:6, 781:4,  
781:13, 782:7,  
782:17, 783:13,  
783:23, 784:4,  
786:21, 788:12,  
788:14, 789:18,  
790:2, 790:3, 791:11,  
792:14, 792:23,  
793:22, 794:12,  
799:15, 801:19,  
802:6, 802:18,  
803:14, 803:19,  
805:18, 807:4, 808:9,  
808:21, 808:23,  
811:4, 812:23, 815:1,  
815:11, 817:7,  
817:13, 819:3, 820:7,  
822:10, 822:16,  
823:14, 823:20,  
823:21, 824:5, 826:2,  
826:18, 827:17,  
827:18, 829:1,  
829:23, 831:3, 832:9,  
832:18, 833:11,  
834:19, 835:13,  
836:1, 837:18,  
838:12, 839:24,

840:1, 840:10,  
840:15, 841:4, 844:3,  
844:8, 844:10, 845:3,  
849:9, 850:11, 851:4,  
851:9, 851:24, 855:1  
**ascertain** [1] -  
675:10  
**Ashburton** [1] -  
641:14  
**Ashby** [4] - 646:24,  
662:5, 709:3, 822:3  
**aside** [1] - 777:5  
**ask** [21] - 645:4,  
645:7, 645:13,  
660:12, 661:22,  
668:4, 678:3, 686:16,  
690:20, 713:12,  
740:14, 742:16,  
742:20, 742:24,  
743:21, 744:2, 803:9,  
816:20, 847:15,  
852:10  
**asked** [16] - 659:16,  
665:10, 690:7,  
691:13, 702:18,  
702:22, 706:2, 706:9,  
707:6, 743:21,  
793:22, 823:2, 825:7,  
840:22, 844:1, 847:13  
**asking** [11] - 645:15,  
681:6, 727:8, 729:1,  
741:1, 745:19,  
796:14, 800:18,  
809:6, 814:21, 840:23  
**aspect** [1] - 837:3  
**aspects** [3] - 830:9,  
831:2, 848:20  
**assess** [3] - 661:12,  
662:8, 671:7  
**assessed** [3] - 668:7,  
668:18, 668:24  
**assessing** [1] -  
830:17  
**Assessment** [1] -  
822:18  
**assessment** [71] -  
645:4, 647:22, 650:8,  
650:9, 650:10,  
658:22, 659:2, 659:7,  
659:14, 661:16,  
661:24, 662:15,  
663:7, 663:21, 666:2,  
667:3, 672:5, 672:10,  
672:14, 673:2, 673:5,  
673:6, 673:20,  
673:24, 674:14,  
674:18, 675:2,  
675:20, 676:4,

677:14, 679:8,  
679:11, 679:24,  
681:11, 681:13,  
681:15, 682:23,  
684:8, 685:2, 692:1,  
692:16, 694:1,  
694:18, 694:19,  
702:6, 702:9, 703:12,  
703:13, 707:23,  
709:22, 709:23,  
716:22, 719:9,  
746:14, 751:20,  
755:2, 791:5, 794:12,  
796:16, 820:17,  
822:13, 822:15,  
823:8, 829:3, 830:15,  
832:3, 834:1, 841:12,  
841:14, 841:18,  
848:17  
**assessments** [2] -  
660:7, 840:11  
**assessor** [2] - 662:9,  
673:9  
**assessors** [19] -  
658:8, 659:17,  
660:17, 661:7,  
661:23, 662:20,  
665:3, 665:19,  
666:16, 667:13,  
667:17, 672:2,  
672:18, 674:10,  
690:14, 690:24,  
692:20, 692:22,  
742:12  
**assessors-slash-**  
**wires-down** [1] -  
666:16  
**assign** [1] - 674:20  
**assigned** [6] -  
642:13, 661:20,  
710:1, 711:17,  
721:20, 730:2  
**assignment** [1] -  
661:14  
**assignments** [1] -  
735:16  
**assist** [4] - 676:3,  
677:13, 682:11,  
720:20  
**Assistant** [5] -  
640:13, 640:15,  
640:19, 641:14, 643:5  
**assistant** [2] -  
748:14, 748:15  
**assisted** [1] - 676:24  
**assisting** [1] - 829:8  
**associated** [5] -

740:21, 780:19,  
782:23, 784:5, 784:9  
**associates** [3] -  
840:9, 842:17, 848:19  
**Associates** [2] -  
829:15, 829:23  
**assume** [4] - 651:11,  
715:19, 743:15  
**assumed** [2] -  
688:15, 715:20  
**assuming** [1] - 734:5  
**assumption** [1] -  
699:6  
**assumptions** [1] -  
782:10  
**assures** [1] - 646:1  
**At** [26] - 642:19,  
643:10, 655:14,  
663:2, 665:8, 667:24,  
670:1, 677:11, 690:4,  
690:13, 692:7,  
697:15, 700:3,  
701:15, 703:8,  
707:19, 723:4,  
723:12, 730:6,  
736:10, 742:16,  
747:24, 794:21,  
809:15, 834:2, 837:1  
**at** [231] - 640:5,  
640:6, 643:22,  
644:11, 645:23,  
647:20, 647:23,  
648:22, 650:6, 654:6,  
658:2, 661:16, 664:4,  
664:12, 665:12,  
665:17, 665:19,  
665:21, 666:14,  
666:22, 666:23,  
667:8, 669:18,  
669:23, 670:8, 671:2,  
671:7, 671:24, 672:7,  
672:10, 672:12,  
673:5, 673:12,  
673:21, 674:1,  
674:14, 675:8, 676:6,  
676:9, 677:19,  
680:12, 680:23,  
683:16, 684:3, 689:7,  
689:11, 690:4, 690:9,  
690:10, 690:14,  
690:21, 691:5,  
691:24, 693:2,  
693:10, 693:18,  
694:3, 694:7, 694:8,  
694:9, 694:12,  
694:17, 694:20,  
695:14, 695:17,  
696:16, 696:21,

697:13, 698:8,  
698:13, 699:1,  
699:11, 699:17,  
699:21, 699:24,  
701:1, 701:4, 701:7,  
701:14, 702:1,  
702:17, 703:19,  
704:2, 706:15,  
707:15, 708:2,  
708:23, 709:7,  
709:11, 710:19,  
714:3, 714:5, 716:4,  
716:15, 716:17,  
718:8, 720:2, 720:6,  
720:12, 722:1,  
722:20, 722:21,  
722:24, 723:7,  
723:12, 724:11,  
725:6, 725:14,  
726:21, 729:12,  
732:9, 733:5, 734:16,  
735:14, 736:7, 738:4,  
738:10, 741:6, 742:4,  
744:23, 744:24,  
746:5, 746:14, 747:2,  
747:23, 748:3,  
749:14, 750:6, 751:3,  
751:12, 752:5,  
754:20, 754:24,  
756:5, 756:10,  
757:20, 758:12,  
760:1, 761:17,  
762:21, 771:4, 774:2,  
778:1, 778:19, 779:4,  
780:3, 781:20, 782:3,  
782:20, 784:21,  
784:22, 785:4, 785:6,  
785:7, 786:22,  
789:14, 789:15,  
794:18, 795:19,  
797:2, 797:7, 801:18,  
803:1, 803:7, 808:15,  
810:6, 810:9, 811:7,  
811:23, 812:11,  
812:21, 814:11,  
814:16, 815:1, 815:8,  
818:20, 821:4,  
821:19, 828:5, 829:1,  
829:16, 829:23,  
830:6, 831:21, 832:8,  
832:13, 833:23,  
834:9, 834:10,  
834:17, 835:16,  
835:18, 835:23,  
835:24, 836:1, 836:5,  
836:16, 836:20,  
837:2, 838:6, 838:9,  
838:10, 839:12,

839:22, 840:13,  
840:14, 843:6, 843:7,  
844:21, 845:1, 845:7,  
845:11, 845:14,  
845:23, 846:10,  
847:4, 848:6, 848:22,  
851:1, 852:7, 854:5,  
854:6, 855:3, 855:5  
**atmosphere** [1] -  
758:10  
**Attachment** [3] -  
676:8, 852:11, 852:12  
**attachment** [1] -  
799:4  
**attempt** [4] - 700:16,  
744:17, 780:23, 781:3  
**attend** [2] - 662:10,  
722:1  
**attended** [1] - 838:4  
**attention** [1] - 852:11  
**attest** [1] - 827:17  
**Attorney** [8] -  
641:12, 643:3, 643:6,  
807:19, 818:11,  
821:15, 839:3, 854:7  
**Attorneys** [1] -  
641:14  
**attributed** [2] -  
804:10, 807:22  
**audit** [2] - 830:22,  
831:2  
**August** [3] - 676:11,  
810:16, 810:17  
**author** [2] - 821:2,  
829:5  
**authorship** [1] -  
830:12  
**automated** [2] -  
750:4, 750:5  
**automatically** [6] -  
751:8, 755:7, 777:4,  
814:6, 814:8, 814:10  
**avail** [1] - 679:6  
**availability** [1] -  
782:5  
**available** [39] -  
654:12, 660:9, 663:4,  
672:3, 672:4, 672:8,  
675:9, 676:17,  
685:19, 706:18,  
722:18, 722:22,  
722:24, 730:24,  
737:10, 737:20,  
738:10, 741:6,  
744:19, 745:5,  
747:12, 747:15,  
750:21, 750:23,

750:24, 782:8,  
784:24, 785:16,  
785:17, 785:19,  
787:18, 788:10,  
790:15, 790:19,  
797:5, 798:7, 801:9,  
805:2  
**average** [5] - 781:7,  
781:9, 781:11,  
789:15, 808:19  
**avoid** [3] - 756:3,  
771:12, 807:14  
**awaiting** [1] - 650:13  
**aware** [12] - 655:6,  
678:9, 703:4, 705:18,  
717:4, 721:1, 742:22,  
794:15, 795:4,  
805:15, 811:16,  
836:21

## B

**B** [2] - 679:16,  
807:17  
**back** [84] - 657:12,  
662:14, 667:14,  
669:20, 676:1,  
688:18, 689:22,  
694:22, 695:3,  
695:22, 695:23,  
696:19, 700:1, 700:6,  
700:11, 700:16,  
701:16, 701:21,  
702:5, 702:23, 704:1,  
704:23, 705:13,  
706:4, 707:10,  
708:14, 708:20,  
711:16, 711:18,  
716:15, 717:10,  
717:11, 717:14,  
720:12, 720:23,  
721:10, 726:19,  
727:7, 728:12, 736:7,  
738:9, 739:3, 739:10,  
739:12, 740:9,  
742:24, 744:13,  
746:22, 747:23,  
748:6, 750:19,  
750:22, 751:1, 751:2,  
755:18, 755:19,  
755:20, 755:21,  
756:2, 762:12, 765:9,  
766:5, 769:18,  
769:22, 773:1,  
773:21, 775:21,  
795:11, 795:21,  
799:19, 800:2, 800:8,  
800:15, 801:1, 802:9,

813:2, 818:9, 836:11,  
839:8, 847:10, 854:3,  
854:6, 854:10  
**Back** [4] - 653:15,  
657:2, 687:5, 754:23  
**backdrop** [1] -  
644:24  
**backed** [1] - 705:3  
**background** [2] -  
714:14, 825:2  
**backing** [1] - 710:17  
**backup** [5] - 677:4,  
677:6, 700:14,  
729:20, 801:20  
**bad** [5] - 681:14,  
694:19, 715:1, 812:23  
**bad-road** [2] - 715:1  
**baked** [1] - 843:7  
**ballpark** [4] - 669:22,  
710:20, 710:22, 711:4  
**Barry** [2] - 640:11,  
642:16  
**based** [29] - 662:2,  
671:13, 672:3, 672:6,  
685:1, 691:7, 694:18,  
703:11, 719:20,  
741:18, 746:10,  
752:2, 755:21,  
756:14, 757:22,  
763:11, 763:19,  
764:11, 783:15,  
800:11, 801:15,  
805:7, 808:11,  
808:24, 809:17,  
813:24, 814:11,  
826:22, 848:13  
**Based** [2] - 672:2,  
741:24  
**basically** [4] - 825:8,  
840:4, 840:22, 845:21  
**basis** [18] - 644:21,  
712:20, 713:5, 713:6,  
720:8, 728:7, 728:18,  
733:17, 750:6, 767:4,  
770:17, 771:16,  
773:16, 784:24,  
798:21, 812:8, 817:6,  
823:22  
**be** [256] - 643:8,  
644:24, 645:5,  
645:15, 645:18,  
646:14, 647:13,  
649:18, 652:7, 652:8,  
652:11, 653:8, 656:2,  
656:7, 656:13, 659:8,  
659:11, 659:13,  
661:10, 661:11,

661:15, 661:16,  
662:14, 662:15,  
662:16, 667:4,  
670:24, 671:4,  
671:16, 672:5, 672:7,  
672:11, 673:20,  
674:9, 674:13,  
674:14, 674:16,  
674:22, 675:5,  
676:11, 680:5,  
682:10, 683:22,  
684:2, 684:15, 685:4,  
685:17, 686:16,  
689:24, 699:3, 699:5,  
703:20, 706:14,  
707:12, 710:18,  
710:21, 711:3,  
718:15, 718:24,  
719:13, 722:6,  
722:14, 722:18,  
723:9, 724:5, 724:11,  
725:7, 725:8, 730:1,  
730:2, 730:24,  
731:11, 731:17,  
731:18, 734:15,  
735:7, 736:8, 736:20,  
738:17, 738:20,  
738:21, 738:22,  
739:2, 739:5, 740:2,  
740:21, 741:17,  
741:20, 742:1,  
742:18, 743:6,  
744:16, 744:17,  
745:9, 745:24,  
747:13, 747:23,  
748:22, 749:19,  
749:23, 752:22,  
753:9, 754:8, 754:14,  
756:1, 756:20,  
756:21, 756:22,  
758:1, 758:15,  
758:22, 759:4, 759:6,  
759:17, 760:10,  
761:7, 761:9, 762:5,  
763:17, 765:1, 768:1,  
769:13, 770:17,  
770:18, 770:19,  
772:11, 772:14,  
772:15, 772:18,  
773:3, 773:5, 773:14,  
773:23, 775:8,  
776:13, 776:24,  
777:10, 779:22,  
779:23, 781:15,  
781:16, 782:3,  
782:14, 782:23,  
783:2, 783:3, 783:5,  
783:19, 783:22,

784:21, 784:24,  
785:3, 785:10, 786:6,  
786:21, 786:24,  
787:3, 788:20, 789:7,  
789:10, 789:16,  
790:24, 791:19,  
792:15, 793:13,  
795:15, 795:21,  
796:1, 796:3, 798:2,  
798:3, 798:7, 799:16,  
799:23, 801:4, 802:2,  
802:3, 802:8, 802:9,  
802:15, 802:18,  
804:4, 804:10,  
804:20, 804:23,  
804:24, 816:7, 817:3,  
817:19, 818:18,  
818:22, 819:8,  
819:12, 822:23,  
822:24, 823:4,  
823:11, 823:14,  
823:15, 823:16,  
823:20, 823:21,  
824:1, 824:7, 825:13,  
825:17, 826:11,  
826:14, 827:10,  
828:7, 828:19,  
830:17, 830:21,  
831:3, 834:4, 835:5,  
839:11, 841:21,  
841:23, 842:4,  
843:12, 844:7,  
844:15, 844:24,  
845:2, 846:2, 846:7,  
846:20, 846:23,  
847:10, 847:18,  
847:21, 848:4,  
848:16, 848:23,  
849:2, 849:10,  
849:12, 849:15,  
849:23, 850:1,  
850:11, 851:5, 852:5,  
852:8, 853:20, 853:22  
**became** [13] - 678:4,  
703:3, 725:12, 733:3,  
740:5, 745:15,  
756:17, 794:17,  
795:4, 796:21,  
797:11, 807:4, 823:22  
**Because** [7] -  
691:24, 694:7,  
696:23, 710:23,  
812:16, 817:20,  
836:16  
**because** [76] - 645:3,  
645:18, 648:17,  
650:13, 658:14,  
665:8, 665:10,

671:24, 672:14,  
673:24, 674:18,  
680:16, 683:21,  
687:1, 691:22,  
694:12, 698:13,  
700:18, 705:11,  
705:23, 717:3, 717:7,  
718:18, 718:21,  
720:8, 724:24,  
725:11, 726:16,  
726:22, 728:24,  
729:2, 730:11,  
732:15, 737:18,  
737:24, 742:9,  
742:12, 743:17,  
745:17, 749:15,  
752:14, 753:3,  
753:12, 755:24,  
758:11, 759:19,  
764:23, 766:7,  
766:16, 770:5, 773:4,  
774:12, 781:1,  
785:13, 786:17,  
790:9, 794:18, 795:7,  
796:24, 804:4,  
804:18, 808:23,  
809:22, 810:16,  
819:9, 824:3, 827:22,  
831:6, 835:9, 835:10,  
841:13, 844:6,  
846:13, 848:13, 849:2  
**become** [3] - 794:15,  
797:5, 846:14  
**becomes** [1] -  
752:10  
**becoming** [1] -  
755:24  
**beef** [2] - 675:19,  
729:5  
**been** [71] - 650:11,  
651:17, 651:20,  
659:5, 663:16,  
666:24, 667:6, 668:6,  
668:8, 668:18,  
668:24, 669:8,  
669:12, 670:4,  
676:15, 680:9, 682:8,  
683:6, 683:10,  
690:14, 692:17,  
694:4, 700:18,  
704:11, 710:14,  
711:23, 713:19,  
717:18, 717:20,  
719:24, 721:19,  
732:22, 750:18,  
755:5, 760:7, 761:3,  
761:8, 763:18, 766:2,  
768:13, 770:1,

772:20, 773:8, 774:2,  
774:5, 775:22, 779:9,  
779:18, 781:20,  
783:9, 785:12,  
785:21, 786:3,  
799:12, 802:24,  
803:4, 806:18, 812:6,  
820:6, 822:16, 826:3,  
827:5, 832:10,  
833:10, 833:11,  
837:21, 839:22,  
840:3, 843:21,  
851:16, 853:7  
**before** [23] - 648:22,  
656:15, 657:11,  
666:24, 675:18,  
698:12, 714:18,  
792:1, 823:1, 823:13,  
827:16, 827:20,  
828:3, 830:8, 832:11,  
833:15, 842:2,  
842:12, 848:16,  
849:11, 853:6,  
853:11, 855:9  
**Before** [2] - 818:9,  
828:13  
**began** [7] - 703:5,  
705:9, 705:12,  
725:24, 729:6,  
798:19, 806:8  
**begin** [5] - 650:14,  
661:21, 674:4,  
680:11, 680:21  
**beginning** [7] -  
715:2, 717:24,  
733:11, 734:5,  
814:12, 816:16, 851:2  
**begun** [4] - 651:12,  
651:15, 690:22,  
692:16  
**behalf** [3] - 642:21,  
643:3, 829:24  
**behind** [1] - 756:23  
**being** [25] - 649:14,  
660:11, 662:9,  
662:16, 679:23,  
697:15, 705:1, 720:7,  
736:12, 737:23,  
741:3, 741:8, 742:6,  
743:15, 744:9,  
751:12, 771:22,  
773:2, 775:10,  
778:10, 779:11,  
791:20, 796:7,  
827:11, 844:19  
**believe** [62] - 656:20,  
658:3, 663:13, 668:2,  
668:21, 671:2,

671:18, 673:12,  
677:15, 690:4, 697:3,  
697:4, 698:3, 700:15,  
701:18, 701:22,  
702:2, 703:10, 704:3,  
705:18, 706:15,  
706:22, 710:6,  
711:13, 722:11,  
729:23, 729:24,  
731:6, 746:15,  
748:18, 748:24,  
752:21, 752:23,  
773:7, 777:24,  
778:18, 793:15,  
798:18, 800:3,  
801:23, 806:20,  
811:11, 812:5,  
813:20, 814:11,  
814:17, 815:7,  
815:23, 819:8,  
820:20, 821:15,  
822:6, 823:10, 833:6,  
833:12, 833:16,  
833:21, 835:19,  
836:13, 837:17,  
853:1, 854:21  
**believed** [1] - 746:10  
**BENCH** [2] - 644:14,  
689:20  
**bench** [2] - 642:14,  
748:12  
**Bench** [2] - 769:20,  
854:8  
**benefits** [2] - 771:11,  
851:11  
**Besides** [1] - 846:9  
**best** [21] - 671:8,  
674:14, 679:11,  
679:12, 684:16,  
740:18, 741:5,  
742:15, 743:4,  
744:18, 817:13,  
829:21, 834:10,  
834:12, 834:15,  
835:4, 837:11,  
840:10, 841:4, 852:8  
**better** [16] - 667:5,  
669:17, 673:2,  
674:22, 742:10,  
744:14, 760:3,  
768:18, 768:19,  
801:20, 804:13,  
824:20, 825:3, 848:3,  
849:5, 853:22  
**Between** [2] -  
699:15, 766:13  
**between** [12] -  
648:13, 655:7, 656:3,

682:15, 696:9,  
726:15, 727:2,  
732:21, 776:12,  
794:20, 809:10  
**beyond** [4] - 674:11,  
681:5, 702:16, 712:5  
**bigger** [1] - 829:5  
**biggest** [1] - 697:4  
**Bill** [2] - 803:10  
**bill** [123] - 750:10,  
750:21, 750:23,  
751:1, 755:17,  
755:21, 756:6,  
756:18, 756:23,  
757:1, 757:8, 757:9,  
757:10, 757:12,  
757:13, 757:18,  
757:21, 758:7, 758:8,  
759:5, 759:13,  
759:15, 759:16,  
759:24, 760:7,  
760:14, 760:15,  
760:16, 760:18,  
760:21, 761:17,  
761:19, 761:24,  
762:2, 762:3, 762:4,  
762:13, 762:22,  
763:1, 763:4, 763:11,  
763:14, 763:17,  
763:18, 763:20,  
764:2, 764:3, 764:6,  
764:11, 764:13,  
764:20, 764:21,  
764:23, 765:2,  
765:10, 765:14,  
765:16, 766:1, 766:7,  
766:24, 767:2, 767:8,  
767:9, 767:11,  
767:21, 767:22,  
769:21, 774:13,  
774:16, 774:23,  
775:24, 776:1, 776:2,  
776:7, 776:8, 776:10,  
776:13, 776:14,  
777:3, 777:5, 778:12,  
781:10, 785:10,  
785:23, 786:8,  
786:22, 787:2, 800:9,  
803:12, 803:16,  
803:18, 803:19,  
803:21, 803:23,  
804:5, 804:7, 804:12,  
804:13, 804:22,  
805:3, 805:4, 805:10,  
805:12, 805:24,  
806:10, 807:6, 807:7,  
807:11, 807:12,  
807:24, 808:23,

809:10, 809:11,  
809:17, 814:24,  
817:20  
**billed** [8] - 752:8,  
768:9, 774:17,  
774:18, 775:14,  
783:17, 808:21,  
809:13  
**billing** [29] - 748:2,  
748:10, 750:4, 750:7,  
751:5, 752:19,  
753:24, 754:3, 755:7,  
762:14, 764:9,  
766:22, 772:3, 772:4,  
781:11, 781:24,  
783:10, 785:7,  
785:13, 799:7,  
799:24, 802:1,  
803:14, 803:24,  
804:6, 804:21,  
807:20, 807:22, 813:2  
**billings** [1] - 751:14  
**bills** [69] - 749:19,  
751:15, 751:20,  
751:22, 752:5,  
754:10, 755:4,  
755:13, 755:20,  
756:5, 756:10,  
756:13, 757:22,  
759:13, 759:15,  
759:16, 759:17,  
759:21, 760:1, 760:4,  
761:4, 761:6, 761:11,  
761:14, 762:6,  
762:15, 764:17,  
766:3, 766:10,  
766:11, 766:14,  
767:11, 767:20,  
769:3, 770:3, 770:8,  
770:24, 771:5, 771:6,  
771:9, 771:13,  
771:16, 773:9, 774:4,  
774:12, 775:11,  
775:21, 776:4,  
777:22, 777:24,  
778:5, 779:10, 780:7,  
780:22, 780:24,  
782:12, 783:17,  
784:4, 786:18, 804:8,  
804:11, 806:3,  
806:11, 806:23,  
807:8, 807:10, 816:16  
**bird** [1] - 661:19  
**bit** [18] - 674:6,  
694:15, 699:13,  
720:23, 724:2,  
731:14, 732:14,  
742:9, 744:21,



747:10, 748:2,  
758:13, 758:18,  
760:9, 760:10,  
787:14, 787:21,  
787:23, 787:24,  
788:7, 788:10,  
788:14, 788:15,  
789:3, 789:8, 789:13,  
789:16, 789:17,  
789:24, 791:1, 791:9,  
791:13, 792:4, 792:9,  
792:17, 792:19,  
793:6, 793:9, 796:14,  
796:16, 796:23,  
797:1, 797:19, 800:4,  
803:14, 803:15,  
803:19, 804:20,  
823:2, 837:5  
**call-center** [3] -  
787:23, 789:13, 793:6  
**call-center-type** [1] -  
748:2  
**call-handle** [1] -  
789:16  
**Callahan** [1] - 643:7  
**called** [15] - 646:17,  
661:18, 662:6,  
684:22, 704:13,  
704:21, 706:4,  
707:10, 720:9,  
792:19, 800:3, 805:9,  
807:24, 812:18,  
840:13  
**caller** [2] - 791:24,  
792:17  
**callers** [2] - 776:6,  
789:5  
**calling** [16] - 692:24,  
693:1, 693:4, 698:3,  
725:9, 725:17,  
727:14, 734:8,  
734:10, 739:12,  
747:21, 758:19,  
776:6, 795:1, 797:11,  
797:21  
**calls** [53] - 650:17,  
650:24, 651:5, 655:4,  
655:22, 661:9, 692:5,  
705:16, 727:10,  
731:12, 731:17,  
732:5, 732:8, 732:11,  
732:12, 732:16,  
732:21, 734:21,  
736:5, 736:11,  
736:13, 737:24,  
738:1, 757:7, 759:2,  
759:3, 776:3, 776:23,  
787:19, 789:5, 790:8,

790:9, 790:10,  
790:17, 790:19,  
790:20, 790:24,  
791:2, 791:6, 793:8,  
793:17, 793:22,  
795:11, 796:17,  
798:6, 798:23, 799:4,  
801:13, 803:20,  
804:10, 806:2, 806:4  
**came** [32] - 661:23,  
677:18, 681:20,  
685:9, 698:1, 698:12,  
699:20, 710:7, 718:8,  
731:18, 732:22,  
736:15, 745:3,  
746:14, 751:24,  
759:2, 766:19, 791:2,  
793:13, 800:15,  
805:5, 821:8, 828:3,  
830:8, 831:9, 833:9,  
839:4, 844:18,  
846:22, 849:18,  
849:20  
**can** [58] - 644:12,  
646:7, 646:20,  
651:11, 652:8,  
655:24, 662:19,  
662:22, 663:6, 667:8,  
667:18, 675:2,  
679:19, 683:18,  
700:9, 707:14, 714:4,  
717:6, 719:13,  
719:20, 721:4,  
725:18, 727:19,  
732:14, 739:1, 743:5,  
744:3, 744:13,  
745:22, 747:7,  
747:18, 750:12,  
753:15, 762:5, 769:4,  
772:7, 776:18,  
780:11, 784:1,  
784:18, 784:21,  
788:3, 790:12,  
793:23, 796:11,  
796:15, 797:23,  
803:9, 817:18,  
822:15, 822:23,  
825:3, 825:15, 826:8,  
827:17, 845:15,  
846:5, 848:6  
**Can** [12] - 651:6,  
658:21, 660:19,  
673:14, 734:2, 762:7,  
774:9, 797:21,  
803:11, 804:10,  
817:15, 820:7  
**can't** [14] - 650:18,  
683:19, 709:19,

711:12, 726:22,  
732:13, 742:13,  
746:17, 772:22,  
774:11, 800:13,  
843:23, 852:23  
**cancel** [1] - 809:5  
**candidates** [2] -  
674:10, 835:3  
**cannot** [3] - 749:19,  
785:13, 792:2  
**canopy** [1] - 679:18  
**capabilities** [2] -  
675:20, 704:7  
**capable** [1] - 829:20  
**capacity** [2] - 797:2,  
823:3  
**Capital** [3] - 664:6,  
664:9, 694:10  
**captioned** [1] - 642:5  
**capture** [2] - 791:1,  
804:18  
**card** [2] - 795:9  
**CAREY** [2] - 809:20,  
858:1  
**Carey** [3] - 640:21,  
748:16, 809:19  
**carried** [1] - 814:14  
**Carroll** [1] - 735:13  
**carry** [3] - 689:10,  
789:2, 814:13  
**cars** [1] - 659:21  
**case** [17] - 717:15,  
718:18, 755:11,  
768:14, 769:20,  
772:17, 785:10,  
792:16, 803:1,  
808:22, 818:19,  
826:9, 826:21, 828:4,  
836:17, 851:20,  
854:17  
**cases** [18] - 671:5,  
734:9, 734:12,  
738:22, 755:16,  
774:22, 775:5,  
796:20, 800:14,  
800:20, 804:19,  
809:8, 825:5, 825:6,  
827:18, 827:21,  
840:19  
**cast** [1] - 854:11  
**categorize** [1] -  
817:14  
**cause** [1] - 764:22  
**caused** [2] - 711:22,  
764:19  
**ceased** [1] - 777:10  
**cell** [2] - 733:20,

734:4  
**Cellucci** [1] - 779:5  
**center** [36] - 646:16,  
648:23, 655:3, 693:1,  
707:17, 723:5,  
733:20, 734:23,  
736:10, 736:22,  
741:4, 741:8, 747:2,  
747:11, 748:2,  
758:18, 760:10,  
787:15, 787:21,  
787:23, 787:24,  
788:14, 788:16,  
789:13, 789:24,  
791:1, 792:4, 792:20,  
793:6, 793:9, 796:17,  
797:20, 810:23,  
812:11, 837:5  
**centered** [1] - 682:16  
**centers** [2] - 674:9,  
788:10  
**central** [1] - 747:5  
**centralized** [2] -  
732:18, 747:10  
**CEO** [2] - 761:7,  
822:24  
**certain** [16] - 655:23,  
668:23, 685:10,  
685:12, 694:10,  
694:11, 714:23,  
718:3, 783:8, 783:16,  
793:3, 798:3, 798:4,  
814:7, 815:8, 830:10  
**certainly** [8] -  
647:20, 730:23,  
778:3, 815:1, 815:9,  
826:15, 849:17, 850:1  
**Certainly** [1] - 789:2  
**CERTIFICATE** [1] -  
855:8  
**certify** [1] - 855:11  
**cetera** [2] - 698:7  
**CGI** [1] - 772:23  
**chain** [1] - 724:7  
**chairman** [1] -  
839:13  
**Chan** [2] - 641:13,  
643:5  
**chance** [1] - 853:22  
**change** [8] - 692:7,  
692:9, 692:10,  
711:10, 730:3,  
763:23, 842:5  
**changed** [1] - 692:15  
**changes** [5] - 707:9,  
822:8, 826:11, 827:7,  
851:11

**changing** [2] - 851:9,  
851:10  
**channels** [3] -  
737:10, 778:8, 794:19  
**Chapter** [1] - 642:11  
**chapters** [1] - 847:6  
**characteristics** [1] -  
753:12  
**characterization** [1]  
- 737:15  
**characterize** [6] -  
650:23, 701:6,  
747:19, 755:10,  
781:13, 804:16  
**characterized** [1] -  
784:18  
**charge** [1] - 808:3  
**charging** [1] - 845:5  
**chart** [6] - 729:12,  
729:15, 790:22,  
799:5, 803:7, 806:22  
**Chattanooga** [1] -  
706:14  
**check** [4] - 761:12,  
796:11, 822:6, 836:14  
**chest** [1] - 824:16  
**Chestnut** [1] - 820:3  
**chief** [2] - 643:2,  
644:2  
**choice** [1] - 727:2  
**Chris** [5] - 687:22,  
725:21, 725:22,  
725:23, 837:18  
**Christmas** [3] -  
702:4, 806:1, 806:2  
**CHRISTOPHER** [4] -  
687:23, 689:18,  
857:1, 857:5  
**Christopher** [1] -  
688:6  
**chronology** [1] -  
706:5  
**chunk** [1] - 697:4  
**Cindy** [1] - 735:13  
**circuit** [12] - 667:16,  
695:24, 696:8,  
714:11, 728:19,  
728:23, 738:24,  
794:13, 795:9, 795:10  
**circuits** [12] - 679:13,  
695:10, 695:21,  
697:14, 710:3,  
739:18, 740:8,  
791:15, 794:1, 794:8,  
795:19, 822:1  
**CIS** [1] - 785:18  
**cited** [1] - 834:23

<p><b>City</b> <sup>[1]</sup> - 733:18</p> <p><b>claims</b> <sup>[1]</sup> - 779:11</p> <p><b>clarification</b> <sup>[5]</sup> - 705:4, 801:22, 802:10, 816:21, 817:15</p> <p><b>clarify</b> <sup>[6]</sup> - 665:14, 769:6, 775:4, 787:19, 794:4, 817:16</p> <p><b>class</b> <sup>[2]</sup> - 764:11, 764:12</p> <p><b>clean</b> <sup>[1]</sup> - 821:8</p> <p><b>clear</b> <sup>[15]</sup> - 651:7, 652:7, 656:13, 656:18, 661:13, 671:16, 685:3, 702:22, 717:13, 718:14, 730:6, 733:3, 737:5, 745:12, 822:20</p> <p><b>clearances</b> <sup>[1]</sup> - 652:4</p> <p><b>clearing</b> <sup>[1]</sup> - 680:21</p> <p><b>clearly</b> <sup>[5]</sup> - 673:24, 679:7, 716:4, 741:14, 758:5</p> <p><b>client</b> <sup>[1]</sup> - 830:7</p> <p><b>clock</b> <sup>[1]</sup> - 666:8</p> <p><b>close</b> <sup>[4]</sup> - 780:15, 783:14, 818:21, 855:4</p> <p><b>closely</b> <sup>[1]</sup> - 844:5</p> <p><b>closer</b> <sup>[1]</sup> - 844:3</p> <p><b>closest</b> <sup>[1]</sup> - 698:10</p> <p><b>closing</b> <sup>[2]</sup> - 782:11, 784:12</p> <p><b>Coakley</b> <sup>[2]</sup> - 643:4, 839:3</p> <p><b>coast</b> <sup>[1]</sup> - 833:9</p> <p><b>code</b> <sup>[1]</sup> - 803:14</p> <p><b>codes</b> <sup>[1]</sup> - 772:23</p> <p><b>cold</b> <sup>[5]</sup> - 714:6, 714:7, 718:19, 757:18, 800:3</p> <p><b>cold-load</b> <sup>[1]</sup> - 800:3</p> <p><b>colleague</b> <sup>[1]</sup> - 834:24</p> <p><b>collects</b> <sup>[1]</sup> - 750:11</p> <p><b>color</b> <sup>[3]</sup> - 852:17, 853:13, 853:15</p> <p><b>colorized</b> <sup>[1]</sup> - 852:13</p> <p><b>combination</b> <sup>[2]</sup> - 696:12, 712:11</p> <p><b>combined</b> <sup>[1]</sup> - 844:11</p> <p><b>come</b> <sup>[25]</sup> - 645:23, 662:11, 693:24, 704:23, 711:3,</p>	<p>718:13, 719:9, 719:10, 719:17, 720:12, 720:20, 738:15, 740:8, 747:10, 747:13, 755:18, 755:19, 755:20, 766:17, 773:13, 795:9, 826:5, 831:19, 835:24, 849:10</p> <p><b>comes</b> <sup>[2]</sup> - 661:7, 828:18</p> <p><b>comfort</b> <sup>[1]</sup> - 682:2</p> <p><b>comfortable</b> <sup>[1]</sup> - 732:1</p> <p><b>coming</b> <sup>[21]</sup> - 645:17, 647:16, 657:12, 665:12, 671:5, 671:7, 683:22, 684:7, 698:10, 698:14, 699:3, 704:9, 704:17, 707:12, 714:13, 726:5, 736:11, 738:1, 805:24, 806:2, 849:5</p> <p><b>commencing</b> <sup>[1]</sup> - 640:6</p> <p><b>comment</b> <sup>[3]</sup> - 818:23, 825:11, 850:21</p> <p><b>comments</b> <sup>[5]</sup> - 826:22, 839:14, 839:15, 839:20, 852:1</p> <p><b>commercial</b> <sup>[1]</sup> - 752:21</p> <p><b>commission</b> <sup>[2]</sup> - 828:1, 835:21</p> <p><b>Commission</b> <sup>[2]</sup> - 642:14, 792:22</p> <p><b>Commissioner</b> <sup>[1]</sup> - 838:17</p> <p><b>commitment</b> <sup>[5]</sup> - 670:21, 692:8, 826:15, 830:7, 851:4</p> <p><b>commitments</b> <sup>[1]</sup> - 706:19</p> <p><b>committed</b> <sup>[3]</sup> - 690:1, 850:19, 851:9</p> <p><b>common</b> <sup>[1]</sup> - 832:24</p> <p><b>commonly</b> <sup>[1]</sup> - 661:18</p> <p><b>COMMONWEALTH</b> <sup>[1]</sup> - 640:2</p> <p><b>Commonwealth</b> <sup>[1]</sup> - 833:6</p> <p><b>communicate</b> <sup>[5]</sup> - 732:2, 737:2, 789:6,</p>	<p>797:17, 848:4</p> <p><b>communicated</b> <sup>[2]</sup> - 798:3, 805:9</p> <p><b>communicates</b> <sup>[1]</sup> - 772:1</p> <p><b>communicating</b> <sup>[4]</sup> - 726:8, 728:3, 733:16, 797:19</p> <p><b>communication</b> <sup>[26]</sup> - 652:18, 656:3, 666:18, 691:10, 698:17, 721:12, 721:18, 724:16, 724:24, 729:5, 729:17, 730:19, 731:3, 732:17, 735:20, 736:1, 736:8, 736:10, 737:19, 738:6, 740:11, 742:21, 746:20, 759:14, 796:5, 832:1</p> <p><b>Communications</b> <sup>[1]</sup> - 654:24</p> <p><b>communications</b> <sup>[29]</sup> - 644:4, 649:5, 649:15, 654:21, 655:6, 655:7, 655:19, 656:4, 668:1, 677:3, 720:24, 721:24, 731:22, 731:23, 732:16, 733:2, 734:15, 745:17, 759:21, 761:3, 766:17, 766:19, 787:15, 802:24, 803:3, 831:24, 832:1, 837:4</p> <p><b>communities</b> <sup>[3]</sup> - 722:1, 772:8, 826:13</p> <p><b>community</b> <sup>[2]</sup> - 728:16, 824:3</p> <p><b>companies</b> <sup>[8]</sup> - 647:9, 671:1, 675:1, 731:1, 826:7, 827:23, 835:2, 835:13</p> <p><b>Company</b> <sup>[5]</sup> - 641:6, 641:11, 642:8, 642:22, 836:13</p> <p><b>COMPANY</b> <sup>[1]</sup> - 640:8</p> <p><b>company</b> <sup>[141]</sup> - 642:9, 643:12, 643:13, 644:23, 648:8, 649:11, 650:7, 650:16, 651:11, 652:12, 652:17, 653:23, 660:9, 662:17, 672:8, 674:7,</p>	<p>674:19, 675:19, 676:2, 676:12, 676:15, 677:7, 677:12, 679:6, 679:21, 722:13, 724:7, 726:1, 727:18, 729:10, 731:24, 737:1, 740:15, 740:18, 741:19, 742:21, 743:10, 743:13, 743:14, 746:12, 749:8, 749:18, 752:18, 752:23, 754:9, 755:3, 758:12, 759:12, 759:20, 761:18, 762:15, 763:13, 768:16, 770:8, 770:14, 770:24, 774:12, 776:1, 776:19, 776:24, 777:11, 778:10, 779:15, 780:6, 780:11, 780:16, 782:9, 782:20, 784:4, 784:10, 784:14, 786:8, 786:15, 788:1, 788:3, 788:13, 788:18, 789:23, 790:1, 792:4, 793:7, 797:14, 798:12, 799:15, 800:12, 804:8, 805:14, 807:4, 815:5, 815:22, 816:2, 817:17, 818:23, 819:1, 819:12, 821:2, 821:12, 823:5, 824:11, 824:24, 825:10, 826:6, 826:10, 827:7, 827:12, 827:19, 828:5, 828:8, 831:13, 832:6, 833:4, 835:5, 835:11, 837:4, 843:6, 843:20, 844:7, 845:3, 845:12, 845:17, 845:19, 846:3, 846:14, 846:19, 846:21, 847:13, 847:15, 848:5, 849:15, 850:2, 850:19, 851:8, 851:10, 851:13, 851:14, 851:15, 853:4, 854:11, 854:13, 854:16</p> <p><b>company's</b> <sup>[32]</sup> - 644:22, 645:2,</p>	<p>647:21, 653:16, 657:4, 658:16, 669:16, 672:7, 672:20, 722:8, 740:12, 748:8, 748:23, 749:12, 750:2, 753:13, 755:7, 755:8, 771:8, 773:16, 780:3, 780:9, 781:3, 781:15, 781:18, 783:4, 785:24, 807:17, 818:12, 822:20, 826:1, 828:10</p> <p><b>company-changing</b> <sup>[1]</sup> - 851:10</p> <p><b>companywide</b> <sup>[1]</sup> - 787:21</p> <p><b>comparative</b> <sup>[2]</sup> - 719:16, 719:21</p> <p><b>compared</b> <sup>[1]</sup> - 773:10</p> <p><b>comparing</b> <sup>[1]</sup> - 719:15</p> <p><b>comparison</b> <sup>[1]</sup> - 720:5</p> <p><b>compiled</b> <sup>[1]</sup> - 686:10</p> <p><b>complaint</b> <sup>[4]</sup> - 738:19, 776:6, 799:20, 804:5</p> <p><b>complaints</b> <sup>[2]</sup> - 721:1, 776:16</p> <p><b>complete</b> <sup>[5]</sup> - 645:14, 672:9, 672:13, 701:19, 740:3</p> <p><b>completed</b> <sup>[5]</sup> - 703:12, 707:22, 771:22, 795:15</p> <p><b>completely</b> <sup>[3]</sup> - 694:8, 825:18, 849:1</p> <p><b>completes</b> <sup>[1]</sup> - 828:9</p> <p><b>complex</b> <sup>[1]</sup> - 787:1</p> <p><b>compliance</b> <sup>[1]</sup> - 643:22</p> <p><b>complicated</b> <sup>[1]</sup> - 752:4</p> <p><b>components</b> <sup>[1]</sup> - 787:2</p> <p><b>comprehensive</b> <sup>[1]</sup> - 823:15</p> <p><b>comprised</b> <sup>[1]</sup> - 704:12</p> <p><b>concentrated</b> <sup>[1]</sup> - 807:13</p> <p><b>concept</b> <sup>[1]</sup> - 786:13</p> <p><b>concern</b> <sup>[3]</sup> - 721:9,</p>
---	--	--	---	--

<p>730:18, 778:11  <b>concerned</b> [10] -  705:2, 706:6, 714:9,  714:13, 736:18,  741:15, 825:12,  827:1, 851:17  <b>concerning</b> [1] -  640:6  <b>concerns</b> [3] -  797:18, 797:20, 798:8  <b>conclude</b> [2] -  773:14, 786:6  <b>conclusion</b> [6] -  737:9, 737:13,  741:15, 741:20,  775:2, 814:1  <b>conclusions</b> [1] -  831:9  <b>Concord</b> [1] - 688:9  <b>condition</b> [1] -  749:24  <b>conditions</b> [12] -  712:7, 713:16,  713:22, 714:7,  714:22, 715:1, 715:3,  715:11, 718:19,  749:23, 791:22  <b>conduct</b> [3] - 819:10,  823:7, 838:1  <b>conducted</b> [6] -  830:2, 830:5, 832:9,  833:19, 836:22,  837:18  <b>conducting</b> [1] -  840:8  <b>conducts</b> [1] -  839:12  <b>confer</b> [1] - 650:19  <b>conference</b> [5] -  683:12, 690:3,  690:21, 698:1, 702:17  <b>conferring</b> [2] -  806:5, 813:18  <b>confidence</b> [4] -  740:5, 740:7, 758:5,  758:11  <b>confident</b> [2] -  676:22, 846:1  <b>configuration</b> [6] -  701:14, 701:16,  701:17, 728:18,  728:19, 772:10  <b>configurations</b> [1] -  701:3  <b>confined</b> [1] - 752:22  <b>confirm</b> [3] - 774:9,  774:11, 775:18</p>	<p><b>confused</b> [2] -  803:17, 844:20  <b>confusing</b> [3] -  768:12, 768:13,  768:14  <b>confusion</b> [4] -  764:20, 764:22,  771:12, 807:14  <b>congested</b> [1] -  796:7  <b>congestion</b> [1] -  793:9  <b>Congress</b> [1] -  640:23  <b>conjunction</b> [1] -  770:5  <b>consequences</b> [1] -  848:15  <b>consequent</b> [1] -  816:16  <b>conservatism</b> [3] -  715:14, 715:18, 716:5  <b>conservative</b> [1] -  716:6  <b>consider</b> [7] - 658:7,  724:15, 724:20,  771:7, 771:10, 832:6,  851:22  <b>considerable</b> [1] -  837:5  <b>consideration</b> [1] -  788:23  <b>considering</b> [1] -  770:15  <b>consistent</b> [1] -  826:19  <b>consistently</b> [1] -  825:7  <b>constantly</b> [1] -  746:6  <b>constraints</b> [1] -  849:8  <b>construction</b> [7] -  663:17, 704:9,  704:10, 706:20,  749:5, 852:21  <b>constructive</b> [1] -  828:19  <b>consult</b> [6] - 762:7,  768:24, 769:2, 782:5,  817:10, 837:23  <b>consultant</b> [5] -  829:21, 838:12,  838:14  <b>consultants</b> [2] -  834:23, 848:23  <b>consultations</b> [1] -</p>	<p>843:2  <b>consulting</b> [3] -  719:8, 840:13, 840:16  <b>consumed</b> [3] -  781:1, 783:18, 809:2  <b>Consumer</b> [3] -  640:20, 748:16,  768:17  <b>consumers</b> [1] -  797:21  <b>consuming</b> [1] -  785:11  <b>consumption</b> [11] -  755:5, 780:23, 784:5,  786:19, 801:15,  802:16, 802:18,  808:20, 809:9,  809:14, 809:17  <b>contact</b> [19] - 653:8,  653:9, 654:22, 656:2,  666:13, 677:2, 698:5,  705:24, 722:5, 722:8,  722:23, 723:5, 723:6,  723:14, 734:19,  735:8, 739:6, 739:21,  778:10  <b>contacted</b> [7] -  652:20, 653:2, 653:6,  689:4, 776:19,  811:22, 812:1  <b>contacting</b> [3] -  679:2, 724:19, 738:22  <b>contacts</b> [3] - 729:6,  797:13, 812:4  <b>contain</b> [1] - 823:20  <b>contained</b> [1] - 796:8  <b>context</b> [5] - 741:11,  743:23, 775:11,  824:23, 825:3  <b>contingent</b> [1] -  683:24  <b>continually</b> [1] -  720:19  <b>continue</b> [8] -  643:11, 661:14,  695:19, 748:7,  755:24, 766:15,  780:11, 839:11  <b>CONTINUED</b> [1] -  640:5  <b>continued</b> [2] -  711:21, 729:7  <b>continuing</b> [1] -  672:22  <b>contract</b> [2] - 663:16,  664:20  <b>contracted</b> [1] -</p>	<p>674:24  <b>contracting</b> [1] -  674:17  <b>contractor</b> [10] -  704:2, 704:4, 704:5,  704:6, 704:18, 706:1,  706:10, 706:11,  706:13, 706:17  <b>contractors</b> [6] -  664:19, 698:21,  703:1, 837:21,  837:23, 837:24  <b>contracts</b> [1] - 675:3  <b>contribute</b> [1] -  830:12  <b>contribution</b> [2] -  824:9, 824:12  <b>contributions</b> [1] -  822:20  <b>control</b> [1] - 688:8  <b>conversation</b> [6] -  742:2, 746:23,  796:13, 813:20,  845:21, 846:6  <b>conversations</b> [3] -  732:20, 734:16,  744:24  <b>convey</b> [2] - 742:6,  742:14  <b>conveyed</b> [2] -  806:7, 843:21  <b>coordinate</b> [1] -  810:21  <b>coordinating</b> [1] -  731:15  <b>Coordinating</b> [1] -  650:3  <b>coordinator</b> [28] -  649:2, 649:5, 649:8,  649:13, 649:15,  652:18, 652:19,  654:11, 654:21,  655:7, 656:4, 682:2,  688:18, 721:13,  721:14, 721:18,  721:20, 722:5, 728:8,  729:17, 729:18,  729:21, 730:8,  730:19, 731:3,  731:22, 733:13  <b>coordinators</b> [6] -  671:14, 690:6, 691:9,  703:5, 727:22, 729:22  <b>copies</b> [1] - 686:24  <b>copy</b> [8] - 687:7,  687:15, 762:13,  779:7, 779:21, 842:1,</p>	<p>843:6, 846:10  <b>corporate</b> [5] -  788:2, 788:5, 792:21,  797:2, 797:7  <b>Corporation</b> [1] -  641:8  <b>correct</b> [70] - 648:3,  648:24, 649:7,  651:13, 651:14,  653:10, 654:23,  656:22, 656:23,  659:22, 662:20,  663:13, 665:2,  665:20, 669:1, 669:6,  669:7, 670:18,  670:19, 670:22,  670:23, 672:17,  681:21, 682:18,  684:14, 687:10,  687:11, 687:12,  697:3, 697:6, 699:6,  701:23, 702:8, 716:1,  721:22, 749:6, 749:7,  750:3, 751:7, 751:10,  763:9, 763:10, 764:3,  764:4, 764:8, 764:9,  764:17, 764:18,  767:5, 767:6, 767:10,  774:1, 775:3, 778:23,  788:4, 788:16,  788:17, 795:3,  801:16, 802:15,  804:19, 805:11,  805:13, 806:11,  813:6, 818:16, 829:3,  830:19, 830:20,  842:14  <b>Correct</b> [21] - 648:4,  649:4, 649:10,  649:16, 649:17,  649:20, 650:2,  650:15, 664:1,  664:15, 691:15,  696:23, 700:2, 749:2,  752:17, 772:13,  802:20, 805:5, 805:6,  806:21, 811:2  <b>corrections</b> [1] -  821:5  <b>correctly</b> [2] -  718:12, 833:5  <b>corrects</b> [1] - 822:7  <b>correspondence</b> [1]  - 656:3  <b>corresponding</b> [1] -  782:21  <b>corroborate</b> [1] -  718:6</p>
---	---	--	--	--



<p><b>cost</b> [3] - 754:7, 787:9, 848:20</p> <p><b>cost-related</b> [1] - 848:20</p> <p><b>cost/benefit</b> [1] - 848:8</p> <p><b>costs</b> [1] - 850:11</p> <p><b>could</b> [111] - 644:24, 645:10, 652:11, 653:21, 654:2, 655:16, 658:15, 659:5, 659:8, 660:12, 660:13, 662:14, 662:15, 662:16, 663:21, 663:23, 667:1, 667:2, 672:5, 676:23, 678:9, 680:9, 681:12, 682:21, 683:4, 683:9, 685:3, 685:4, 686:11, 687:2, 689:9, 695:13, 696:1, 698:7, 706:3, 706:19, 707:8, 710:16, 710:20, 710:22, 711:3, 716:12, 717:9, 717:18, 717:19, 718:5, 723:4, 724:1, 725:7, 725:8, 730:3, 730:15, 732:1, 733:17, 737:23, 742:9, 744:16, 744:17, 749:11, 749:12, 751:17, 755:17, 755:20, 755:21, 757:5, 757:9, 757:12, 757:16, 757:18, 758:2, 759:11, 760:3, 760:20, 761:5, 761:12, 762:20, 763:12, 763:13, 768:20, 769:21, 775:8, 776:21, 780:3, 784:13, 790:24, 791:8, 795:5, 798:22, 799:8, 799:11, 799:23, 800:19, 800:24, 804:4, 804:15, 805:18, 807:3, 817:13, 817:14, 819:24, 822:12, 827:18, 827:23, 834:10, 835:24, 837:11, 840:24, 845:3, 849:10, 852:4, 853:21</p> <p><b>Could</b> [22] - 660:3, 669:21, 686:1,</p>	<p>686:16, 702:11, 710:19, 721:15, 725:20, 754:12, 763:2, 764:19, 765:5, 780:10, 787:19, 815:18, 816:20, 829:10, 830:21, 831:3, 836:23, 852:10, 852:11</p> <p><b>couldn't</b> [11] - 678:5, 680:3, 696:11, 704:22, 704:23, 706:6, 716:8, 745:13, 745:18, 746:21, 803:3</p> <p><b>counsel</b> [5] - 642:19, 643:2, 687:19, 761:17, 821:15</p> <p><b>Counsel</b> [1] - 762:13</p> <p><b>counts</b> [2] - 686:6, 694:9</p> <p><b>couple</b> [22] - 695:3, 695:5, 695:8, 696:7, 719:24, 736:2, 739:6, 739:7, 765:10, 765:12, 778:21, 797:16, 799:7, 804:24, 812:18, 813:3, 824:14, 825:6, 832:12, 845:13, 849:22, 854:4</p> <p><b>course</b> [9] - 730:3, 733:2, 733:24, 739:19, 740:4, 746:1, 797:14, 825:14, 851:21</p> <p><b>cover</b> [2] - 804:21, 854:22</p> <p><b>covered</b> [2] - 757:1, 825:16</p> <p><b>covers</b> [1] - 763:1</p> <p><b>create</b> [1] - 725:6</p> <p><b>credibility</b> [2] - 746:12, 746:16</p> <p><b>credible</b> [1] - 719:6</p> <p><b>credits</b> [1] - 807:18</p> <p><b>crew</b> [27] - 661:16, 662:4, 662:11, 662:16, 664:14, 672:11, 683:1, 686:6, 694:17, 704:12, 704:14, 704:22, 707:23, 707:24, 708:2, 708:19, 709:7, 709:16, 710:7, 710:16, 711:4, 711:11, 712:1, 713:17, 713:23, 719:18, 727:1</p>	<p><b>Crew</b> [1] - 661:18</p> <p><b>crews</b> [100] - 652:9, 652:12, 659:6, 659:9, 659:11, 659:13, 661:20, 662:5, 663:3, 663:9, 663:11, 663:16, 663:22, 664:10, 664:11, 664:13, 664:21, 664:23, 665:4, 665:16, 665:18, 666:13, 670:21, 670:24, 671:3, 671:6, 671:8, 671:10, 672:3, 677:18, 682:10, 682:17, 682:19, 683:4, 683:22, 683:24, 684:4, 684:24, 685:6, 685:8, 685:10, 685:13, 685:14, 685:17, 685:19, 687:8, 689:23, 690:2, 690:9, 690:10, 690:20, 691:5, 691:7, 697:17, 697:24, 698:3, 698:9, 698:12, 699:8, 699:19, 702:5, 702:8, 702:18, 702:19, 702:21, 704:1, 704:2, 704:9, 704:10, 704:15, 704:16, 704:23, 705:12, 705:13, 705:14, 705:17, 705:20, 705:21, 706:1, 706:6, 706:8, 706:20, 706:21, 707:14, 708:10, 709:1, 710:18, 710:23, 711:17, 715:5, 720:10, 739:21, 742:11, 744:7, 837:13, 837:19</p> <p><b>Crews</b> [3] - 665:12, 692:19, 717:12</p> <p><b>criticism</b> [2] - 828:18, 828:19</p> <p><b>criticize</b> [1] - 828:20</p> <p><b>cross</b> [9] - 643:12, 643:13, 644:13, 644:19, 748:7, 760:22, 818:9, 819:11, 854:5</p> <p><b>CROSS</b> [1] - 828:22</p> <p><b>cross-examination</b> [7] - 643:12, 643:13, 644:13, 644:19,</p>	<p>748:7, 819:11, 854:5</p> <p><b>CROSS-EXAMINATION</b> [1] - 828:22</p> <p><b>CRR</b> [2] - 640:22, 855:23</p> <p><b>CSR</b> [1] - 801:7</p> <p><b>cumulative</b> [1] - 802:19</p> <p><b>currently</b> [2] - 664:10, 829:14</p> <p><b>curriculum</b> [1] - 832:8</p> <p><b>customer</b> [65] - 644:4, 644:6, 694:9, 728:11, 736:13, 736:16, 738:20, 747:10, 748:10, 756:6, 757:5, 757:6, 759:9, 760:22, 764:12, 764:13, 765:15, 765:19, 766:6, 766:16, 766:21, 767:20, 771:12, 774:17, 774:22, 775:6, 775:9, 776:20, 778:11, 781:7, 785:4, 785:5, 785:6, 785:8, 785:16, 785:17, 787:15, 788:19, 790:4, 790:5, 791:20, 791:23, 792:15, 792:19, 793:10, 796:17, 796:23, 797:2, 797:8, 797:17, 798:4, 798:11, 799:20, 801:7, 801:13, 801:23, 802:6, 803:15, 803:20, 803:23, 804:18, 808:1, 809:9, 814:6</p> <p><b>customer's</b> [3] - 760:21, 802:23, 808:17</p> <p><b>customer-service</b> [12] - 757:6, 776:20, 788:19, 790:4, 793:10, 796:23, 797:2, 797:8, 798:4, 803:23, 804:18, 808:1</p> <p><b>Customers</b> [4] - 768:15, 791:11, 800:18, 813:8</p> <p><b>customers</b> [99] - 651:16, 667:10, 667:12, 669:9, 669:20, 670:3, 695:9,</p>	<p>696:24, 697:5, 711:18, 727:3, 747:8, 747:9, 747:11, 747:12, 747:15, 752:5, 752:22, 755:4, 755:14, 756:4, 756:9, 757:7, 758:6, 758:14, 758:19, 758:24, 759:3, 759:14, 759:22, 761:3, 761:6, 764:15, 764:23, 768:8, 768:13, 768:19, 770:2, 771:19, 771:20, 774:7, 774:9, 774:20, 774:21, 775:3, 775:20, 776:18, 776:21, 776:23, 776:24, 777:10, 781:18, 786:7, 786:10, 788:11, 789:8, 791:10, 793:1, 795:1, 796:2, 796:5, 796:18, 796:24, 797:10, 797:18, 797:24, 799:19, 799:21, 800:12, 800:14, 800:23, 801:12, 801:19, 801:20, 805:2, 805:9, 805:15, 806:13, 807:5, 807:9, 807:15, 807:23, 808:4, 809:13, 809:16, 813:23, 816:6, 816:11, 817:17, 817:24, 818:1, 818:2, 828:8, 844:19</p> <p><b>customers'</b> [1] - 757:17</p> <p><b>cut</b> [1] - 843:18</p> <p><b>cutout</b> [1] - 718:15</p> <p><b>cycle</b> [8] - 750:7, 750:14, 757:2, 758:23, 766:23, 770:5, 785:7, 799:24</p> <p><b>Cycle</b> [2] - 769:13, 769:14</p> <p><b>cycles</b> [5] - 769:10, 769:12, 806:18, 806:24, 807:3</p>
<b>D</b>				
<p><b>D</b> [2] - 642:2, 856:1</p> <p><b>d/b/a</b> [1] - 642:8</p> <p><b>daily</b> [12] - 644:21, 720:8, 750:6, 750:12,</p>				

781:7, 781:9, 800:16, 801:3, 801:6, 802:4, 808:20, 812:8 <b>Damage</b> [4] - 659:17, 679:8, 692:20, 692:22 <b>damage</b> [101] - 645:4, 647:21, 650:7, 650:9, 650:10, 657:4, 658:8, 658:22, 659:2, 659:7, 659:14, 660:16, 661:7, 661:15, 661:23, 661:24, 662:9, 662:15, 662:20, 663:21, 665:3, 665:18, 666:2, 666:15, 667:2, 667:13, 667:17, 668:7, 668:18, 668:24, 669:16, 669:17, 672:2, 672:6, 672:10, 672:14, 672:18, 672:22, 673:1, 673:9, 673:20, 673:24, 674:10, 674:14, 674:17, 675:2, 675:20, 676:3, 677:14, 677:22, 678:12, 678:22, 678:23, 679:11, 679:24, 681:3, 681:4, 681:11, 681:19, 682:23, 684:8, 685:1, 690:14, 690:24, 691:2, 692:1, 692:16, 693:15, 693:19, 694:1, 696:10, 700:18, 703:4, 703:11, 703:13, 707:18, 707:23, 709:14, 709:22, 709:23, 711:9, 711:21, 716:20, 716:21, 716:23, 717:1, 717:6, 717:15, 717:17, 718:3, 719:9, 740:20, 741:13, 741:15, 741:24, 742:5, 742:12, 742:23, 743:13, 770:12 <b>damage-</b> <b>assessment</b> [4] - 661:24, 663:21, 675:20, 682:23 <b>Dan</b> [1] - 834:24 <b>Daniel</b> [2] - 640:13, 642:17	<b>dark</b> [4] - 694:8, 714:10, 714:12, 714:24 <b>data</b> [31] - 665:10, 665:11, 669:24, 670:11, 686:5, 686:7, 703:14, 716:4, 750:12, 751:4, 754:24, 755:2, 771:7, 773:8, 773:12, 784:22, 785:15, 785:16, 785:19, 791:1, 793:16, 793:19, 793:21, 798:23, 799:15, 816:8, 816:9, 817:22, 825:9, 850:15 <b>Data</b> [3] - 770:21, 852:10, 852:24 <b>data-request</b> [2] - 825:9, 850:15 <b>date</b> [13] - 667:7, 708:4, 708:7, 724:12, 756:24, 762:14, 763:5, 766:23, 793:24, 798:13, 805:16, 805:18, 814:19 <b>dated</b> [2] - 763:4, 777:22 <b>dates</b> [6] - 708:10, 710:17, 711:2, 711:13, 817:13, 831:20 <b>day</b> [83] - 642:3, 644:23, 648:16, 653:4, 658:7, 658:24, 659:17, 660:9, 660:15, 664:24, 665:11, 666:14, 666:21, 667:21, 667:22, 667:23, 668:4, 668:17, 669:15, 671:5, 672:15, 673:8, 673:13, 673:16, 673:21, 673:22, 674:2, 677:8, 682:1, 682:9, 682:17, 683:7, 683:23, 686:6, 687:9, 696:17, 696:21, 697:15, 698:13, 704:20, 707:16, 710:14, 710:24, 713:6, 714:5, 715:20, 716:13, 720:12, 721:14, 721:16, 727:20, 727:21,	729:14, 732:8, 732:17, 733:2, 738:4, 740:23, 750:8, 750:17, 750:18, 750:21, 750:22, 751:3, 751:4, 762:5, 790:18, 794:2, 800:17, 801:11, 802:4, 802:7, 802:9, 809:15, 810:24, 837:17, 840:1, 840:4, 840:5, 845:24 <b>DAY</b> [2] - 787:12, 857:24 <b>Day</b> [3] - 640:19, 748:15, 792:8 <b>day's</b> [2] - 762:6, 799:11 <b>day-by-day</b> [1] - 686:6 <b>day-to-day</b> [1] - 713:6 <b>daylight</b> [4] - 650:10, 650:14, 666:9, 692:18 <b>Days</b> [1] - 812:15 <b>days</b> [54] - 644:20, 672:11, 672:21, 677:24, 702:4, 702:7, 702:10, 707:24, 708:2, 720:1, 725:1, 740:2, 740:24, 744:6, 745:9, 746:23, 750:20, 750:24, 751:16, 751:20, 751:23, 751:24, 752:6, 752:7, 752:10, 752:15, 756:14, 757:12, 758:23, 781:10, 785:7, 785:8, 801:4, 801:14, 801:24, 802:3, 802:7, 802:12, 802:22, 803:5, 808:6, 808:7, 808:17, 808:21, 812:16, 814:11, 824:13, 842:2, 844:23 <b>daytime</b> [2] - 666:3, 666:5 <b>Dayton</b> [2] - 704:3 <b>deal</b> [6] - 758:18, 760:6, 797:9, 827:3, 834:11, 848:2 <b>dealing</b> [5] - 690:12, 690:15, 725:2, 736:4, 738:7 <b>dealt</b> [2] - 726:3, 836:6 <b>debriefing</b> [1] -	837:19 <b>debris</b> [1] - 714:1 <b>December</b> [71] - 642:9, 648:2, 648:21, 649:19, 651:13, 651:17, 654:9, 655:1, 656:14, 657:3, 658:8, 659:1, 660:9, 663:3, 664:24, 667:22, 670:8, 676:1, 681:24, 682:15, 689:12, 751:13, 751:21, 752:3, 752:4, 752:6, 752:9, 752:10, 756:5, 759:12, 759:15, 759:23, 760:2, 763:6, 764:17, 765:16, 765:17, 766:3, 766:8, 766:15, 767:8, 767:17, 767:21, 770:3, 770:23, 773:20, 774:5, 774:15, 775:15, 780:8, 781:1, 781:12, 782:12, 783:18, 783:20, 784:6, 790:16, 790:23, 794:5, 794:6, 794:8, 804:9, 805:3, 806:19, 807:6, 808:1, 815:22, 821:20, 823:1, 832:20 <b>decide</b> [3] - 691:16, 702:24, 707:15 <b>decided</b> [1] - 707:18 <b>decision</b> [14] - 671:3, 671:9, 671:11, 671:13, 680:9, 680:12, 680:22, 690:19, 695:18, 698:9, 702:6, 755:23, 777:7, 822:22 <b>decisions</b> [3] - 694:18, 702:12, 703:6 <b>dedicate</b> [1] - 673:1 <b>dedicated</b> [3] - 697:24, 735:23, 735:24 <b>dedication</b> [1] - 828:20 <b>deenergize</b> [1] - 700:20 <b>default</b> [1] - 787:8 <b>defect</b> [1] - 749:24 <b>defensive</b> [1] - 745:17 <b>defer</b> [1] - 831:1 <b>delay</b> [1] - 680:15	<b>delays</b> [2] - 737:23, 739:11 <b>delegates</b> [1] - 733:24 <b>delineate</b> [1] - 726:15 <b>delinquency</b> [1] - 816:13 <b>delivery</b> [1] - 781:11 <b>demand</b> [7] - 725:11, 752:22, 753:3, 753:6, 753:7, 753:13 <b>Demand</b> [1] - 753:10 <b>demands</b> [3] - 733:4, 737:18, 796:17 <b>Demands</b> [1] - 753:19 <b>denial</b> [2] - 826:9, 851:14 <b>department</b> [6] - 660:7, 660:22, 688:8, 750:4, 840:14, 846:19 <b>DEPARTMENT</b> [1] - 640:3 <b>Department</b> [17] - 640:5, 642:6, 642:18, 643:11, 644:12, 645:1, 648:7, 655:16, 768:24, 769:2, 819:2, 826:17, 827:10, 829:14, 832:13, 832:21, 833:14 <b>Department's</b> [4] - 818:13, 818:24, 851:16, 854:14 <b>departments</b> [1] - 660:21 <b>depend</b> [2] - 756:24, 818:21 <b>depending</b> [2] - 730:4, 757:1 <b>deploy</b> [1] - 796:22 <b>deployed</b> [1] - 786:1 <b>deployment</b> [1] - 785:22 <b>describe</b> [4] - 645:8, 667:1, 688:11, 799:1 <b>described</b> [3] - 645:18, 829:1, 831:3 <b>describing</b> [4] - 691:1, 738:13, 742:4, 822:19 <b>description</b> [5] - 658:5, 682:21, 709:21, 710:10, 842:19 <b>design</b> [1] - 761:21
--	--	---	---	--

<p><b>designated</b> [2] - 735:21, 792:21</p> <p><b>designed</b> [1] - 781:16</p> <p><b>desired</b> [2] - 789:18, 801:2</p> <p><b>detail</b> [5] - 655:16, 655:18, 693:19, 719:19, 844:13</p> <p><b>detailed</b> [5] - 658:5, 679:10, 679:23, 693:19, 740:7</p> <p><b>details</b> [1] - 849:6</p> <p><b>determination</b> [2] - 826:14, 831:19</p> <p><b>determine</b> [12] - 651:24, 662:12, 689:23, 768:17, 788:19, 789:11, 791:5, 792:5, 792:14, 794:17, 825:22, 842:21</p> <p><b>determined</b> [1] - 826:11</p> <p><b>determining</b> [2] - 651:23, 781:6</p> <p><b>devastation</b> [1] - 742:5</p> <p><b>develop</b> [3] - 719:6, 719:16, 719:20</p> <p><b>developed</b> [4] - 686:4, 686:5, 758:11, 831:15</p> <p><b>developing</b> [3] - 689:9, 720:9, 841:22</p> <p><b>development</b> [2] - 727:17, 732:19</p> <p><b>device</b> [2] - 696:14, 696:16</p> <p><b>devote</b> [1] - 678:5</p> <p><b>Dewey</b> [2] - 641:1, 643:1</p> <p><b>diagram</b> [1] - 658:2</p> <p><b>Did</b> [37] - 669:17, 676:1, 685:10, 695:10, 709:11, 715:2, 721:13, 731:9, 733:14, 738:3, 740:17, 741:17, 742:2, 742:24, 746:5, 759:11, 759:20, 782:20, 791:1, 814:15, 828:1, 829:24, 830:12, 835:16, 836:5, 836:9, 837:12, 838:1, 839:21, 841:2, 843:1,</p>	<p>843:3, 844:14, 847:15, 848:8, 849:8, 852:21</p> <p><b>did</b> [125] - 652:12, 654:21, 655:22, 659:9, 660:1, 660:5, 661:23, 669:19, 675:5, 677:1, 677:12, 682:2, 684:2, 685:8, 689:2, 689:23, 692:7, 692:8, 692:9, 695:4, 695:8, 696:9, 696:10, 700:3, 700:4, 701:2, 701:15, 702:24, 706:7, 706:10, 707:8, 707:15, 707:20, 708:7, 708:8, 708:19, 709:17, 711:8, 711:9, 714:21, 720:1, 722:1, 722:13, 723:15, 727:21, 728:5, 732:18, 734:18, 735:2, 737:6, 741:23, 742:4, 742:16, 742:20, 743:21, 746:11, 746:14, 747:4, 747:16, 755:15, 755:16, 757:8, 759:23, 759:24, 760:5, 760:6, 760:12, 761:6, 764:16, 764:18, 764:22, 766:9, 767:1, 768:9, 773:11, 777:15, 777:18, 777:21, 780:8, 780:11, 784:5, 794:2, 794:11, 796:15, 798:12, 800:10, 804:3, 805:14, 805:15, 806:15, 810:4, 810:13, 810:15, 814:17, 820:18, 821:17, 827:15, 830:14, 831:13, 832:3, 834:20, 836:8, 836:11, 836:16, 837:23, 838:19, 839:12, 839:24, 840:20, 841:8, 841:12, 841:13, 842:1, 842:8, 842:21, 842:24, 843:16, 843:18, 848:17, 848:19, 851:22, 853:5, 853:6, 853:13</p> <p><b>didn't</b> [53] - 656:21,</p>	<p>670:5, 672:9, 672:11, 672:13, 677:7, 679:6, 680:15, 691:22, 693:17, 694:13, 695:17, 697:21, 699:8, 700:18, 702:7, 705:20, 706:3, 715:16, 715:19, 716:6, 716:7, 716:9, 722:21, 740:7, 742:10, 742:11, 742:14, 756:4, 757:14, 758:8, 758:16, 759:3, 766:15, 776:23, 786:18, 793:17, 796:21, 803:2, 810:17, 814:6, 831:14, 834:11, 834:18, 840:23, 841:10, 842:5, 843:7, 843:11, 843:12, 844:2, 852:2, 853:15</p> <p><b>difference</b> [1] - 692:13</p> <p><b>different</b> [19] - 711:14, 716:10, 716:24, 717:16, 718:7, 730:12, 738:16, 739:7, 739:12, 743:9, 787:1, 787:2, 787:4, 787:10, 789:3, 791:16, 835:9</p> <p><b>differentiate</b> [4] - 764:13, 776:12, 776:17, 803:9</p> <p><b>differently</b> [3] - 660:12, 716:17, 792:10</p> <p><b>difficult</b> [23] - 660:13, 699:9, 713:24, 714:6, 716:8, 716:21, 737:18, 741:16, 742:1, 745:21, 753:5, 753:11, 758:18, 758:20, 759:8, 761:18, 761:20, 774:12, 794:17, 797:12, 817:19, 828:16, 828:17</p> <p><b>difficulties</b> [1] - 772:21</p> <p><b>difficulty</b> [6] - 759:7, 796:16, 796:19, 849:22, 852:19, 853:16</p> <p><b>Dig</b> [1] - 684:21</p>	<p><b>digger</b> [3] - 704:12, 707:5, 713:23</p> <p><b>diggers</b> [3] - 706:24, 707:4, 707:7</p> <p><b>DIRECT</b> [5] - 643:17, 653:24, 654:18, 688:1, 819:22</p> <p><b>direct</b> [8] - 655:3, 723:14, 723:15, 733:17, 743:1, 820:11, 820:24, 828:10</p> <p><b>directed</b> [3] - 787:14, 825:10, 853:4</p> <p><b>directing</b> [1] - 832:14</p> <p><b>direction</b> [2] - 734:24, 736:16</p> <p><b>directly</b> [12] - 655:5, 655:7, 696:24, 728:1, 734:10, 734:23, 742:16, 788:8, 798:1, 812:2, 812:9, 843:21</p> <p><b>director</b> [7] - 643:21, 643:24, 644:5, 688:23, 735:13, 748:16, 810:9</p> <p><b>Director</b> [4] - 640:11, 640:13, 640:15, 640:19</p> <p><b>directors</b> [2] - 748:14, 823:9</p> <p><b>disagree</b> [1] - 846:24</p> <p><b>disconnect</b> [1] - 813:5</p> <p><b>disconnected</b> [1] - 813:8</p> <p><b>disconnection</b> [3] - 777:8, 777:9, 813:24</p> <p><b>disconnections</b> [3] - 777:13, 813:7, 813:13</p> <p><b>discovered</b> [1] - 794:10</p> <p><b>discovery</b> [2] - 819:10, 821:6</p> <p><b>discuss</b> [2] - 832:23, 841:10</p> <p><b>discussed</b> [9] - 658:13, 662:18, 666:24, 721:17, 727:20, 729:14, 740:22, 741:3, 741:8</p> <p><b>discusses</b> [1] - 821:20</p> <p><b>discussing</b> [4] - 654:20, 731:13, 731:17, 827:2</p> <p><b>discussion</b> [15] -</p>	<p>664:22, 675:18, 677:16, 677:17, 697:17, 698:13, 698:15, 698:16, 702:15, 730:20, 737:8, 741:14, 741:19, 754:7, 834:21</p> <p><b>Discussion</b> [6] - 653:14, 657:1, 754:22, 762:11, 765:8, 854:2</p> <p><b>discussions</b> [8] - 675:21, 676:2, 677:8, 677:13, 691:8, 693:22, 812:9, 845:19</p> <p><b>dispatch</b> [8] - 655:3, 655:10, 682:19, 723:5, 723:16, 723:18, 725:4, 734:23</p> <p><b>dispatched</b> [4] - 680:10, 683:1, 684:24, 795:8</p> <p><b>dispatcher</b> [4] - 655:12, 684:22, 723:22, 725:8</p> <p><b>dispatching</b> [2] - 680:20, 795:24</p> <p><b>displays</b> [1] - 790:22</p> <p><b>disproportionately</b> [1] - 833:7</p> <p><b>dispute</b> [1] - 805:10</p> <p><b>disputing</b> [1] - 805:2</p> <p><b>distance</b> [1] - 671:5</p> <p><b>distinct</b> [1] - 645:20</p> <p><b>distinguish</b> [1] - 794:20</p> <p><b>distribution</b> [19] - 645:3, 647:5, 657:13, 657:17, 669:13, 679:9, 679:20, 679:22, 680:5, 681:2, 685:21, 693:17, 696:3, 711:19, 711:21, 714:5, 719:4, 719:7, 719:12</p> <p><b>Distribution</b> [3] - 657:8, 678:16, 678:17</p> <p><b>distribution-type</b> [1] - 679:22</p> <p><b>divert</b> [1] - 673:4</p> <p><b>division</b> [1] - 728:6</p> <p><b>Division</b> [9] - 640:12, 640:14, 640:16, 640:20, 642:18, 748:15, 748:16, 748:17, 768:17</p> <p><b>Do</b> [20] - 659:21,</p>
--	---	--	---	--

660:15, 671:20, 673:9, 686:24, 696:14, 709:6, 712:18, 737:4, 760:17, 760:21, 782:17, 793:12, 793:18, 798:13, 805:15, 813:16, 814:18, 815:13, 817:6 <b>do</b> [110] - 648:1, 656:12, 658:23, 659:20, 666:7, 667:13, 668:22, 671:6, 673:19, 679:10, 679:15, 680:13, 681:9, 681:12, 682:24, 694:2, 694:5, 694:15, 694:19, 699:24, 700:8, 708:3, 709:11, 709:16, 709:17, 714:4, 716:21, 717:3, 717:23, 719:8, 719:18, 722:14, 722:23, 727:5, 731:6, 733:7, 733:18, 737:23, 739:1, 741:1, 742:4, 742:13, 744:1, 744:2, 744:3, 748:1, 753:11, 756:3, 760:18, 760:19, 761:20, 765:15, 768:16, 772:8, 772:9, 776:3, 777:8, 778:6, 779:21, 782:7, 782:19, 784:14, 784:22, 785:3, 785:9, 785:19, 785:22, 792:8, 793:15, 795:16, 796:12, 798:9, 800:14, 801:10, 806:13, 815:12, 815:15, 817:5, 817:12, 817:18, 817:23, 819:8, 821:4, 822:9, 822:11, 824:19, 825:1, 825:3, 826:21, 828:11, 828:13, 828:24, 833:2, 835:8, 839:6, 840:12, 842:7, 845:3, 848:8, 848:17, 849:5, 852:4, 852:6, 852:8, 852:13, 854:18, 854:19, 855:10 <b>DOC</b> [1] - 693:13 <b>dockets</b> [1] - 854:16	<b>document</b> [11] - 686:1, 686:3, 687:11, 710:12, 820:10, 820:12, 820:15, 821:12, 824:6, 831:7, 834:22 <b>documentation</b> [3] - 656:2, 781:23, 782:8 <b>documented</b> [1] - 693:6 <b>documents</b> [3] - 684:2, 820:6, 820:8 <b>does</b> [19] - 646:8, 651:22, 652:9, 663:14, 694:2, 750:15, 752:23, 764:10, 764:12, 770:8, 771:24, 775:5, 775:17, 780:17, 789:23, 809:22, 811:3, 816:15 <b>Does</b> [8] - 656:10, 743:12, 743:13, 775:15, 793:7, 799:14, 816:14, 818:2 <b>doesn't</b> [2] - 646:2, 770:20 <b>dogs</b> [1] - 661:19 <b>doing</b> [23] - 642:22, 658:8, 659:8, 660:16, 662:14, 664:8, 665:6, 673:19, 673:23, 675:19, 683:15, 683:20, 700:15, 732:24, 743:4, 743:11, 754:8, 755:17, 777:13, 798:19, 817:7, 845:17 <b>Don</b> [1] - 642:17 <b>Don't</b> [1] - 783:6 <b>don't</b> [74] - 655:23, 658:3, 658:10, 668:2, 668:21, 671:2, 671:9, 672:23, 677:3, 679:9, 679:22, 686:18, 692:11, 696:24, 697:10, 706:24, 708:6, 709:8, 722:18, 723:14, 730:5, 730:17, 732:5, 732:6, 732:9, 735:11, 741:10, 741:11, 742:14, 743:16, 744:7, 745:8, 747:18, 753:1, 753:22, 757:12, 760:18, 760:19, 760:24, 761:10, 762:9,	765:21, 766:15, 777:19, 779:2, 786:10, 793:20, 795:17, 796:11, 799:18, 804:17, 805:18, 806:15, 807:2, 812:1, 813:17, 814:19, 830:24, 831:6, 833:8, 833:12, 836:17, 836:19, 836:21, 838:18, 841:20, 844:1, 851:15, 851:20, 852:12 <b>Donald</b> [1] - 640:18 <b>done</b> [34] - 652:8, 702:6, 710:18, 720:7, 720:13, 720:14, 738:22, 749:5, 751:8, 755:6, 762:5, 771:13, 782:11, 783:10, 785:12, 785:21, 788:18, 795:14, 805:1, 808:15, 813:3, 824:16, 826:14, 827:12, 835:14, 840:21, 846:20, 846:23, 847:21, 848:23, 849:2, 849:13, 852:6 <b>doubled</b> [1] - 672:18 <b>down</b> [53] - 646:6, 647:6, 647:8, 650:16, 650:24, 651:5, 657:18, 657:20, 659:5, 659:8, 660:8, 660:16, 660:19, 660:24, 661:3, 661:9, 661:10, 662:8, 662:10, 662:23, 663:21, 666:16, 672:3, 674:1, 678:15, 678:21, 680:21, 683:8, 683:17, 689:11, 691:3, 693:2, 695:16, 695:17, 709:24, 711:11, 712:18, 716:11, 717:8, 717:9, 717:12, 717:18, 718:3, 724:20, 725:12, 736:19, 740:6, 794:13, 798:2, 803:22, 817:3 <b>downtown</b> [3] - 697:6, 697:9, 697:12 <b>downward</b> [1] - 783:15	<b>dozen</b> [1] - 847:19 <b>DPU</b> [3] - 640:4, 642:5, 671:22 <b>DPU-3</b> [3] - 656:8, 656:9, 858:13 <b>DPU-4</b> [3] - 782:15, 782:16, 858:14 <b>DPU-4-1</b> [1] - 806:17 <b>DPU-4-4</b> [1] - 806:22 <b>DPU-5</b> [3] - 815:20, 818:4, 858:15 <b>DPU-FGE-2-40</b> [1] - 798:24 <b>DPU-FGE-4-1</b> [2] - 749:13, 769:11 <b>DPU-FGE-4-10</b> [1] - 780:4 <b>DPU-FGE-4-2</b> [1] - 799:10 <b>DPU-FGE-4-4</b> [5] - 770:22, 774:3, 775:22, 803:7, 807:17 <b>DPU-FGE-4-9</b> [3] - 774:6, 774:8, 775:13 <b>draft</b> [3] - 825:11, 831:18, 851:1 <b>drafted</b> [2] - 842:13, 842:15 <b>dramatically</b> [1] - 711:11 <b>draw</b> [2] - 775:1, 852:11 <b>driveway</b> [1] - 726:23 <b>driving</b> [3] - 664:16, 679:12, 679:13 <b>Dube</b> [8] - 687:22, 688:3, 688:6, 693:11, 725:22, 734:11, 744:21, 837:18 <b>DUBE</b> [13] - 687:23, 688:6, 688:14, 689:18, 699:15, 699:19, 699:23, 700:2, 700:6, 701:23, 716:2, 857:1, 857:5 <b>due</b> [4] - 760:7, 763:5, 793:9, 799:13 <b>Due</b> [1] - 763:15 <b>duration</b> [1] - 688:17 <b>during</b> [56] - 648:13, 650:11, 650:24, 653:4, 654:8, 658:24, 660:15, 664:24, 666:9, 672:20, 677:12, 683:7, 684:22, 688:12, 708:24, 710:11,	711:19, 715:8, 719:9, 733:1, 733:24, 744:23, 749:4, 755:5, 756:11, 770:3, 771:16, 774:4, 777:14, 781:7, 784:15, 787:16, 787:18, 790:17, 791:2, 796:6, 796:7, 797:14, 799:11, 805:23, 810:1, 810:4, 811:8, 811:24, 812:4, 812:16, 813:6, 813:24, 814:22, 815:5, 823:12, 824:22, 830:22, 834:8, 840:6, 844:18 <b>During</b> [3] - 654:10, 746:1, 816:5
<b>E</b>				
<b>E</b> [6] - 642:2, 688:22, 767:13, 767:18, 856:1 <b>each</b> [21] - 644:23, 645:19, 647:2, 653:9, 654:22, 690:5, 690:9, 691:17, 691:20, 710:14, 710:24, 728:15, 730:9, 731:7, 738:4, 767:12, 767:16, 785:16, 785:17, 790:7, 844:10 <b>Earlier</b> [1] - 821:13 <b>earlier</b> [6] - 754:15, 766:6, 784:15, 785:2, 786:16, 805:21 <b>early</b> [15] - 656:15, 656:16, 672:21, 677:24, 690:11, 699:1, 700:16, 722:13, 737:21, 739:16, 766:8, 777:8, 780:16, 784:13, 798:21 <b>earned</b> [1] - 781:20 <b>easier</b> [3] - 751:18, 844:7, 852:14 <b>Eastern</b> [1] - 833:6 <b>eating</b> [1] - 715:9 <b>economic</b> [1] - 848:15 <b>economical</b> [1] - 848:13 <b>Edison</b> [1] - 833:6 <b>effect</b> [2] - 781:14, 781:17 <b>effective</b> [1] - 679:10				

<p><b>effects</b> [1] - 770:11</p> <p><b>effort</b> [10] - 676:4, 729:7, 754:7, 777:23, 823:15, 829:7, 831:5, 835:12, 852:4, 852:7</p> <p><b>efforts</b> [13] - 650:3, 651:15, 672:20, 676:13, 712:14, 714:3, 720:21, 738:6, 743:20, 786:3, 797:20, 828:20, 839:23</p> <p><b>eight</b> [2] - 648:14, 847:19</p> <p><b>either</b> [23] - 646:8, 646:19, 652:11, 652:20, 662:11, 674:8, 697:1, 723:23, 727:24, 740:11, 745:14, 766:2, 777:24, 779:9, 797:24, 806:14, 827:19, 833:23, 837:1, 839:22, 840:8, 848:3, 848:19</p> <p><b>elaborate</b> [2] - 788:3, 797:22</p> <p><b>elected</b> [11] - 652:21, 656:5, 724:4, 724:13, 725:16, 725:17, 725:21, 726:11, 727:10, 728:3, 732:11</p> <p><b>ELECTRIC</b> [1] - 640:8</p> <p><b>electric</b> [24] - 654:6, 660:23, 755:5, 767:16, 771:3, 771:4, 771:20, 772:2, 772:3, 772:6, 772:9, 773:3, 773:4, 774:4, 774:9, 774:13, 774:14, 774:17, 774:18, 774:23, 775:7, 775:15, 806:23, 817:17</p> <p><b>Electric</b> [11] - 640:11, 640:14, 641:6, 641:11, 642:8, 642:18, 642:22, 654:7, 656:21, 835:9, 836:12</p> <p><b>electric-company</b> [1] - 817:17</p> <p><b>electrical</b> [2] - 643:24, 799:11</p> <p><b>electrician</b> [2] - 844:20, 844:24</p> <p><b>electricians</b> [1] -</p>	<p>845:5</p> <p><b>electricity</b> [1] - 645:11</p> <p><b>electronic</b> [1] - 801:18</p> <p><b>eligible</b> [2] - 777:10, 813:23</p> <p><b>eliminate</b> [1] - 844:14</p> <p><b>Elm</b> [1] - 725:5</p> <p><b>else</b> [11] - 672:1, 684:18, 713:12, 713:13, 713:14, 731:15, 757:3, 769:20, 773:23, 846:10, 855:3</p> <p><b>email</b> [2] - 738:21, 801:19</p> <p><b>emails</b> [1] - 705:10</p> <p><b>emanating</b> [1] - 685:23</p> <p><b>embed</b> [1] - 722:12</p> <p><b>embedding</b> [1] - 737:22</p> <p><b>emergency</b> [27] - 643:22, 648:23, 650:1, 655:4, 661:10, 671:11, 676:8, 693:1, 724:17, 724:21, 725:2, 725:7, 726:14, 726:21, 727:2, 727:4, 727:5, 729:18, 730:11, 732:12, 745:1, 793:3, 810:9, 810:22, 810:23, 812:11</p> <p><b>Emergency</b> [5] - 684:21, 810:11, 811:13, 811:17, 811:23</p> <p><b>emergency-response</b> [2] - 732:12, 810:22</p> <p><b>emerging</b> [1] - 848:7</p> <p><b>empathize</b> [1] - 797:18</p> <p><b>emphasis</b> [1] - 827:5</p> <p><b>emphasize</b> [1] - 651:2</p> <p><b>employed</b> [1] - 810:1</p> <p><b>employee</b> [3] - 810:14, 829:13, 846:14</p> <p><b>employees</b> [12] - 693:9, 693:10, 693:11, 694:14, 797:17, 797:19,</p>	<p>798:13, 824:11, 824:12, 824:14, 828:15, 830:1</p> <p><b>EMS</b> [1] - 667:9</p> <p><b>encountered</b> [1] - 718:7</p> <p><b>end</b> [23] - 668:4, 668:16, 673:21, 682:1, 696:21, 697:15, 702:1, 709:3, 718:8, 720:12, 721:7, 739:18, 740:3, 746:19, 780:15, 782:10, 783:14, 784:11, 786:22, 809:15, 845:23, 854:4</p> <p><b>end-of</b> [1] - 784:11</p> <p><b>ended</b> [6] - 705:22, 725:13, 727:8, 796:22, 825:17, 838:20</p> <p><b>ends</b> [1] - 790:9</p> <p><b>energize</b> [5] - 683:5, 695:4, 695:10, 695:17, 744:14</p> <p><b>energized</b> [5] - 695:7, 697:12, 697:14, 700:5, 714:15</p> <p><b>energizing</b> [2] - 696:2</p> <p><b>energy</b> [5] - 664:2, 688:7, 729:13, 783:18, 799:16</p> <p><b>engaged</b> [5] - 705:14, 734:15, 735:20, 824:20, 827:17</p> <p><b>engagement</b> [1] - 852:1</p> <p><b>engineer</b> [1] - 799:23</p> <p><b>engineering</b> [5] - 651:23, 660:7, 675:23, 688:23, 734:12</p> <p><b>engineers</b> [4] - 660:1, 673:18, 683:11, 684:13</p> <p><b>England</b> [2] - 705:3, 707:13</p> <p><b>enough</b> [7] - 672:15, 691:22, 693:7, 700:12, 705:1, 716:6, 742:11</p> <p><b>ensure</b> [2] - 695:15, 730:10</p> <p><b>entails</b> [1] - 651:22</p> <p><b>enter</b> [1] - 803:14</p>	<p><b>entered</b> [1] - 736:21</p> <p><b>entire</b> [3] - 719:12, 799:24, 842:15</p> <p><b>entirely</b> [2] - 755:9, 827:6</p> <p><b>entities</b> [3] - 698:1, 698:3, 698:4</p> <p><b>entitled</b> [1] - 852:20</p> <p><b>entries</b> [4] - 782:21, 783:9, 783:22, 784:8</p> <p><b>entry</b> [2] - 784:2, 821:19</p> <p><b>envelope</b> [2] - 760:15, 761:14</p> <p><b>EOC</b> [27] - 649:22, 655:10, 655:11, 655:13, 660:20, 667:14, 667:18, 676:2, 689:12, 722:2, 722:3, 722:8, 722:22, 723:12, 723:17, 723:23, 725:19, 725:20, 728:2, 733:18, 734:10, 735:22, 735:23, 735:24, 797:17, 798:2, 798:13</p> <p><b>EOCs</b> [8] - 722:6, 722:12, 736:7, 736:9, 737:22, 797:22, 798:16, 798:20</p> <p><b>EPLER</b> [5] - 655:21, 769:9, 769:15, 779:3, 854:19</p> <p><b>Epler</b> [4] - 641:8, 643:1, 769:8, 854:18</p> <p><b>epler@unitil.com</b> [1] - 641:10</p> <p><b>Equipment</b> [1] - 713:16</p> <p><b>equipment</b> [7] - 679:16, 680:3, 680:20, 681:3, 698:6, 704:6, 750:2</p> <p><b>escalated</b> [2] - 732:9, 759:3</p> <p><b>escalating</b> [1] - 733:4</p> <p><b>especially</b> [3] - 677:24, 756:11, 756:13</p> <p><b>Esq</b> [6] - 641:2, 641:2, 641:3, 641:8, 641:13, 641:13</p> <p><b>Essentially</b> [1] - 709:23</p> <p><b>essentially</b> [14] -</p>	<p>646:16, 697:11, 701:9, 704:22, 715:21, 717:9, 724:14, 726:17, 757:20, 778:5, 789:4, 802:5, 829:2, 841:22</p> <p><b>establish</b> [2] - 805:14, 823:6</p> <p><b>establishing</b> [1] - 731:18</p> <p><b>estimate</b> [30] - 690:8, 708:23, 711:9, 713:3, 715:4, 719:2, 719:6, 719:10, 719:11, 719:18, 740:1, 741:23, 744:7, 753:2, 753:5, 753:7, 753:8, 753:16, 753:22, 767:4, 767:14, 767:15, 767:19, 768:19, 781:14, 784:20, 786:4, 794:13, 808:11</p> <p><b>estimated</b> [117] - 708:1, 710:17, 712:1, 712:17, 712:19, 715:3, 715:7, 720:2, 739:17, 746:9, 751:5, 751:14, 751:15, 751:22, 752:19, 755:4, 756:10, 756:13, 757:8, 757:9, 757:10, 757:21, 758:7, 758:8, 759:15, 759:17, 760:1, 760:3, 760:7, 761:11, 763:17, 763:19, 763:21, 764:5, 764:7, 764:14, 764:16, 764:21, 765:3, 765:16, 766:3, 766:10, 766:11, 766:23, 767:2, 767:9, 767:11, 767:16, 767:20, 767:22, 769:3, 770:3, 770:8, 770:24, 771:2, 771:5, 771:9, 771:13, 771:16, 772:15, 772:16, 773:9, 773:15, 774:3, 774:17, 774:18, 774:23, 774:24, 775:7, 775:8, 775:10, 775:21, 776:4, 776:8, 776:10, 776:16, 777:22, 777:24, 778:5, 778:11,</p>
---	---	--	--	--

779:10, 780:7,  
780:22, 781:9,  
781:10, 781:15,  
782:12, 783:17,  
784:3, 785:10, 786:7,  
786:18, 786:22,  
799:8, 804:8, 804:11,  
804:22, 805:3, 805:4,  
806:3, 806:20,  
806:23, 807:6, 807:7,  
807:8, 807:10,  
807:11, 807:12,  
807:24, 808:23,  
809:10, 809:11,  
814:24, 821:13,  
821:17, 821:21,  
821:22  
**estimated-bill-read**  
[1] - 764:21  
**estimated-billing** [1]  
- 752:19  
**estimates** [24] -  
703:5, 703:15, 710:1,  
712:3, 712:12,  
712:16, 713:4, 713:9,  
713:13, 713:15,  
714:20, 714:23,  
715:6, 715:14,  
715:18, 715:24,  
717:17, 717:24,  
719:20, 720:4,  
749:19, 753:17,  
754:10, 774:14  
**Estimating** [1] -  
768:12  
**estimating** [4] -  
717:22, 751:21,  
768:18, 808:11  
**estimations** [1] -  
774:16  
**et** [2] - 698:7  
**ETRs** [1] - 746:17  
**evaluation** [1] -  
679:22  
**EVANS** [74] - 642:3,  
643:10, 643:15,  
644:10, 651:6,  
653:12, 653:15,  
653:21, 656:7,  
656:10, 656:24,  
657:2, 657:24, 660:3,  
665:15, 668:11,  
669:3, 680:24,  
683:14, 686:20,  
686:22, 687:3, 687:5,  
687:15, 699:17,  
708:17, 709:10,  
712:15, 719:23,

721:9, 734:1, 747:22,  
748:6, 754:21,  
754:23, 759:10,  
762:9, 762:12, 765:7,  
765:9, 769:7, 769:18,  
778:14, 779:1, 779:6,  
779:12, 779:20,  
782:14, 809:19,  
813:1, 816:22, 818:5,  
818:8, 818:22, 819:6,  
819:14, 828:11,  
853:24, 854:3,  
854:24, 856:14,  
856:16, 856:18,  
856:20, 856:22,  
856:24, 857:8,  
857:10, 857:12,  
857:14, 857:16,  
857:20, 857:22, 858:2  
**Evans** [3] - 640:10,  
642:12, 643:6  
**even** [16] - 674:15,  
677:7, 680:16,  
715:23, 719:7,  
740:20, 750:11,  
752:6, 752:7, 767:21,  
773:9, 786:2, 791:20,  
829:5, 834:14, 840:5  
**Even** [2] - 664:19,  
771:19  
**evening** [7] - 651:18,  
672:4, 703:9, 704:21,  
705:5, 707:22, 755:12  
**evenings** [1] - 689:5  
**event** [14] - 653:2,  
655:8, 662:3, 725:11,  
732:9, 733:6, 744:6,  
792:6, 792:11,  
805:23, 815:11,  
832:10, 851:10  
**events** [5] - 717:2,  
717:5, 719:15,  
791:18, 827:20  
**ever** [7] - 676:12,  
741:17, 741:23,  
742:20, 742:24,  
829:21, 854:10  
**ever-expanding** [1] -  
854:10  
**every** [16] - 668:17,  
730:6, 736:15,  
759:20, 801:11,  
825:5, 825:6, 830:6,  
830:11, 835:6,  
835:12, 837:3, 837:8,  
838:5, 840:5, 847:17  
**everybody** [4] -  
744:23, 745:2,

829:16, 852:18  
**everyday** [1] -  
663:18  
**everyone** [3] -  
644:16, 822:21, 855:4  
**everything** [9] -  
708:5, 708:7, 712:10,  
717:21, 821:12,  
825:7, 835:24,  
840:24, 845:15  
**everywhere** [1] -  
725:13  
**evident** [1] - 756:1  
**EVIDENTIARY** [1] -  
640:5  
**evidentiary** [1] -  
642:4  
**evolved** [2] - 735:12,  
836:3  
**exact** [9] - 652:1,  
700:9, 707:1, 708:23,  
710:21, 711:12,  
805:18, 813:17,  
841:21  
**exactly** [6] - 661:2,  
762:21, 780:13,  
791:6, 800:13, 808:14  
**examination** [8] -  
643:12, 643:13,  
644:13, 644:19,  
748:7, 818:10,  
819:11, 854:5  
**EXAMINATION** [8] -  
643:17, 644:14,  
653:24, 654:18,  
688:1, 689:20,  
819:22, 828:22  
**EXAMINATIONS** [1]  
- 856:3  
**examined** [2] -  
823:4, 835:6  
**example** [18] -  
693:12, 718:13,  
719:5, 737:20,  
739:16, 750:8, 751:3,  
752:12, 756:13,  
757:11, 767:17,  
787:6, 789:7, 789:18,  
802:6, 803:5, 803:11,  
808:21  
**Excel** [1] - 710:10  
**excellent** [1] -  
812:19  
**except** [2] - 667:10,  
830:6  
**exception** [2] -  
750:16, 810:16

**excess** [3] - 704:16,  
704:17, 737:19  
**exchange** [2] -  
743:24, 745:24  
**exclusively** [1] -  
787:20  
**Excuse** [2] - 682:7,  
802:11  
**excuse** [2] - 657:23,  
754:12  
**excuses** [1] - 828:5  
**executive** [3] -  
820:2, 840:16, 850:23  
**executives** [2] -  
841:3, 841:9  
**exercise** [2] - 744:1,  
811:1  
**exercises** [1] - 811:3  
**exhibit** [10] - 686:20,  
687:7, 754:14,  
760:20, 769:18,  
769:22, 774:2,  
777:20, 820:9, 820:13  
**Exhibit** [21] - 658:17,  
676:7, 687:13,  
749:13, 762:17,  
762:18, 765:12,  
770:1, 774:6, 775:22,  
779:7, 779:22,  
779:23, 780:4,  
820:10, 820:12,  
820:14, 820:15,  
858:8, 858:9, 858:10  
**EXHIBITS** [1] - 858:7  
**Exhibits** [1] - 820:7  
**exhibits** [2] - 821:5,  
822:10  
**exist** [1] - 770:20  
**existed** [2] - 738:13,  
738:14  
**expand** [1] - 791:8  
**expanding** [1] -  
854:10  
**expect** [4] - 724:6,  
724:10, 782:2, 827:8  
**expectation** [4] -  
685:14, 722:4, 724:5,  
756:23  
**expectations** [2] -  
758:15, 761:4  
**expected** [7] - 684:4,  
699:12, 722:6, 731:4,  
739:20, 739:21, 822:1  
**expecting** [3] -  
683:23, 704:15,  
756:21  
**experience** [14] -

673:19, 717:2,  
717:22, 771:9,  
773:16, 791:10,  
800:9, 824:21,  
827:13, 828:7,  
831:15, 840:19,  
848:14  
**experienced** [6] -  
711:14, 714:18,  
733:6, 791:11,  
791:14, 801:24  
**experiences** [1] -  
705:19  
**experiencing** [3] -  
689:7, 690:6, 791:12  
**expertise** [3] -  
673:18, 674:5, 675:1  
**explain** [9] - 654:8,  
684:16, 702:11,  
716:18, 751:17,  
759:22, 762:20,  
780:10, 784:14  
**explained** [2] -  
722:17, 722:20  
**explaining** [4] -  
759:16, 759:17,  
767:4, 767:8  
**explains** [1] - 749:18  
**explanation** [3] -  
719:1, 765:3, 768:2  
**explicit** [1] - 784:8  
**explore** [1] - 742:9  
**exposure** [1] -  
850:13  
**expound** [1] - 724:1  
**extend** [1] - 848:18  
**Extensive** [3] -  
657:6, 678:22, 678:23  
**extensive** [4] -  
682:11, 696:10,  
736:10, 778:20  
**extensively** [2] -  
778:4, 824:10  
**extent** [10] - 678:11,  
703:4, 742:5, 742:23,  
743:13, 782:8, 786:7,  
823:18, 823:24  
**extra** [2] - 818:19,  
853:17  
**extraordinarily** [1] -  
758:17  
**extraordinary** [1] -  
785:22  
**extrapolation** [2] -  
694:3, 694:16  
**extreme** [2] - 741:13,  
741:16

<b>extremely</b> [4] - 737:1, 827:14, 829:9, 829:20	848:24 <b>Farmer</b> [1] - 640:23 <b>fashion</b> [1] - 719:22 <b>fast</b> [2] - 791:12, 791:19 <b>faster</b> [1] - 672:24 <b>fax</b> [3] - 641:4, 641:10, 641:16 <b>February</b> [16] - 648:21, 658:15, 658:16, 670:13, 676:6, 709:20, 763:5, 777:19, 778:17, 787:17, 788:13, 790:21, 793:24, 794:7, 805:1, 843:19 <b>fed</b> [2] - 758:16 <b>feed</b> [7] - 646:11, 646:15, 646:18, 646:23, 647:4, 647:18, 750:4 <b>feedback</b> [7] - 826:16, 842:8, 842:12, 845:11, 846:11, 850:6, 850:8 <b>feeders</b> [2] - 685:22, 695:4 <b>feeds</b> [3] - 646:12, 700:13, 700:14 <b>feel</b> [2] - 676:22, 796:21 <b>feeling</b> [2] - 648:17, 681:18 <b>feet</b> [1] - 678:10 <b>felt</b> [2] - 731:24, 823:19 <b>few</b> [11] - 687:18, 690:18, 693:20, 717:12, 780:2, 824:13, 826:8, 828:24, 833:14, 838:23, 848:11 <b>fewer</b> [1] - 771:19 <b>FG&amp;E</b> [1] - 658:22 <b>FGE</b> [1] - 820:12 <b>FGE-10</b> [3] - 762:18, 765:12, 858:9 <b>FGE-11</b> [5] - 779:7, 779:13, 779:22, 779:23, 858:10 <b>FGE-2</b> [2] - 658:17, 676:7 <b>FGE-4-4</b> [2] - 749:14, 770:1 <b>FGE-5</b> [3] - 820:7, 820:10, 820:22 <b>FGE-6</b> [2] - 820:14,	832:9 <b>FGE-7</b> [4] - 820:15, 821:1, 821:7, 821:10 <b>FGE-9</b> [4] - 686:23, 687:8, 687:13, 858:8 <b>field</b> [32] - 649:13, 652:3, 652:10, 652:13, 652:19, 660:15, 661:8, 662:5, 665:5, 673:18, 683:7, 689:10, 690:24, 692:18, 692:19, 692:20, 692:23, 693:6, 717:7, 720:3, 720:6, 721:14, 721:20, 722:5, 727:1, 727:22, 729:22, 730:8, 731:12, 733:13, 837:14, 837:22 <b>fielding</b> [1] - 797:7 <b>fifths</b> [1] - 757:13 <b>figure</b> [6] - 679:1, 679:5, 683:16, 708:19, 710:16, 728:24 <b>figures</b> [1] - 773:19 <b>figuring</b> [1] - 664:4 <b>file</b> [1] - 854:18 <b>filed</b> [7] - 777:19, 826:21, 841:13, 841:19, 842:2, 850:17, 853:6 <b>filig</b> [5] - 658:16, 676:6, 843:19, 843:20 <b>fill</b> [2] - 675:11, 675:13 <b>final</b> [2] - 700:21, 807:16 <b>finally</b> [2] - 739:17, 832:5 <b>find</b> [22] - 660:13, 696:6, 696:9, 696:10, 698:5, 698:6, 717:20, 724:8, 726:2, 728:21, 793:23, 796:24, 827:18, 834:10, 834:12, 834:18, 834:20, 834:22, 835:12, 841:6, 844:23, 847:2 <b>finding</b> [1] - 815:9 <b>findings</b> [2] - 831:9, 843:23 <b>fine</b> [1] - 818:22 <b>fingerprints</b> [1] - 836:9	<b>finish</b> [3] - 664:22, 714:21, 769:19 <b>fire</b> [2] - 724:18, 792:22 <b>firm</b> [6] - 642:24, 719:8, 829:14, 829:17, 829:18 <b>firms</b> [2] - 840:16, 851:18 <b>first</b> [70] - 645:7, 647:11, 647:14, 651:16, 655:4, 667:20, 667:23, 668:3, 668:17, 669:15, 672:15, 675:5, 678:8, 682:19, 685:16, 689:4, 695:3, 695:5, 695:8, 695:11, 695:21, 696:7, 696:10, 696:13, 696:21, 699:19, 702:7, 703:22, 711:8, 714:3, 721:14, 721:16, 722:3, 722:16, 724:17, 725:2, 725:7, 726:14, 727:5, 728:4, 732:8, 734:21, 754:17, 754:19, 755:13, 757:7, 766:5, 766:13, 767:7, 794:14, 795:4, 798:12, 799:11, 800:17, 802:2, 802:8, 802:19, 803:4, 803:8, 806:3, 809:10, 820:10, 823:6, 838:13, 840:1, 840:4, 847:21, 850:17, 850:24 <b>First</b> [2] - 687:6, 749:18 <b>first-responder</b> [1] - 734:21 <b>Fitch</b> [1] - 654:5 <b>Fitchburg</b> [70] - 641:6, 641:11, 642:7, 642:21, 649:3, 649:22, 650:8, 654:5, 654:6, 656:20, 657:13, 658:5, 662:19, 662:22, 663:4, 663:10, 663:12, 663:23, 664:7, 665:5, 665:12, 670:20, 674:9, 678:18, 682:3, 688:14, 689:11, 689:12, 690:12,	693:13, 693:21, 694:6, 694:7, 694:11, 697:6, 697:9, 697:18, 703:10, 703:16, 703:19, 721:18, 722:2, 722:17, 723:12, 724:16, 725:20, 727:23, 728:2, 732:7, 733:9, 733:18, 734:4, 734:10, 735:14, 735:22, 737:21, 747:6, 778:2, 798:15, 812:21, 815:22, 822:2, 833:12, 835:8, 837:16, 837:20, 838:2, 838:4, 839:4, 840:5 <b>FITCHBURG</b> [1] - 640:8 <b>Fitchburg's</b> [4] - 658:9, 659:2, 664:24, 669:9 <b>five</b> [9] - 718:23, 801:24, 802:2, 802:4, 802:7, 802:12, 802:22, 808:6, 808:17 <b>five-day</b> [1] - 802:4 <b>fix</b> [2] - 712:17, 712:18 <b>fixed</b> [2] - 718:16, 795:23 <b>fixes</b> [1] - 701:4 <b>Flag</b> [6] - 645:9, 645:10, 645:24, 646:11, 647:16, 647:20 <b>flew</b> [1] - 677:19 <b>Florida</b> [2] - 835:4, 835:7 <b>flows</b> [1] - 645:11 <b>fly</b> [5] - 680:23, 681:3, 681:9, 681:13, 785:14 <b>fly-over</b> [3] - 681:3, 681:9, 681:13 <b>focus</b> [6] - 644:19, 720:24, 799:6, 830:9, 833:2, 833:20 <b>focused</b> [4] - 647:11, 647:14, 677:24, 835:14 <b>folks</b> [13] - 659:5, 683:6, 684:3, 685:2, 687:18, 705:12, 724:18, 731:19, 732:12, 732:17,
---	---	--	--	--

<p>738:22, 759:18, 782:3  <b>folks'</b> [1] - 814:22  <b>follow</b> [9] - 674:6, 707:14, 734:2, 754:10, 759:11, 798:10, 809:22, 847:6, 847:11  <b>follow-up</b> [1] - 798:10  <b>following</b> [5] - 702:4, 752:11, 753:10, 754:5, 799:12  <b>Food</b> [1] - 812:23  <b>foot</b> [3] - 678:8, 680:11, 680:23  <b>foot-patrol</b> [1] - 680:23  <b>foot-patrolling</b> [1] - 680:11  <b>footnote</b> [1] - 821:3  <b>For</b> [7] - 664:13, 673:18, 685:7, 737:20, 751:20, 787:6, 813:10  <b>for</b> [333] - 641:6, 641:11, 642:20, 643:2, 643:13, 643:16, 643:24, 644:4, 644:6, 645:1, 645:5, 645:14, 649:2, 651:6, 654:13, 655:23, 656:20, 658:7, 660:4, 661:2, 661:19, 662:11, 667:17, 668:7, 668:18, 668:24, 670:21, 672:11, 673:4, 674:2, 674:10, 674:17, 674:21, 675:23, 676:20, 679:2, 679:10, 679:21, 679:23, 680:2, 680:3, 680:5, 681:11, 681:18, 682:16, 684:4, 684:23, 685:6, 686:2, 686:22, 687:13, 687:15, 687:19, 688:4, 688:16, 688:21, 688:23, 690:9, 690:10, 690:20, 691:13, 691:17, 691:19, 697:18, 702:7, 702:13, 702:18, 702:19, 705:1, 705:3, 705:4, 705:15, 706:13, 706:19,</p>	<p>708:10, 712:13, 712:22, 712:23, 713:2, 714:7, 714:21, 714:22, 718:12, 718:15, 718:16, 718:23, 719:1, 721:14, 721:18, 722:19, 723:1, 724:21, 725:8, 725:11, 726:13, 726:17, 726:18, 726:24, 727:14, 727:15, 731:7, 731:9, 731:15, 731:19, 732:18, 733:4, 733:23, 734:7, 736:17, 736:19, 737:18, 737:22, 738:1, 738:2, 738:8, 738:18, 739:16, 740:1, 741:11, 741:12, 745:6, 745:23, 746:3, 747:14, 748:5, 748:21, 748:24, 749:11, 749:19, 750:1, 750:13, 750:16, 750:18, 750:20, 750:23, 751:18, 751:23, 752:5, 752:8, 752:20, 753:4, 754:2, 754:4, 754:21, 755:18, 756:6, 756:13, 756:15, 756:18, 757:4, 757:11, 757:15, 757:23, 758:18, 761:18, 762:8, 762:10, 762:16, 762:18, 763:6, 763:23, 765:6, 765:11, 765:14, 767:4, 767:12, 767:13, 767:16, 767:23, 768:8, 768:9, 768:13, 768:19, 769:6, 770:1, 770:10, 771:4, 771:20, 772:4, 773:14, 774:5, 774:10, 774:18, 775:8, 775:21, 776:24, 777:10, 779:7, 779:20, 779:23, 780:2, 780:19, 781:4, 781:11, 781:18, 782:9, 782:22, 783:4, 783:8, 783:13,</p>	<p>783:17, 784:11, 784:13, 785:3, 785:6, 785:17, 786:6, 786:14, 787:4, 787:7, 787:8, 787:9, 787:19, 787:20, 787:23, 787:24, 788:2, 788:5, 788:6, 788:10, 788:14, 788:15, 789:19, 790:3, 790:16, 790:19, 792:3, 792:6, 792:22, 793:22, 794:1, 795:18, 796:14, 796:17, 797:13, 798:23, 800:12, 801:19, 801:24, 802:3, 802:7, 802:12, 802:22, 803:9, 804:2, 804:21, 805:8, 807:20, 808:6, 808:22, 809:16, 811:11, 812:22, 812:23, 813:2, 813:13, 813:21, 813:23, 814:6, 814:13, 815:8, 815:11, 816:9, 816:11, 816:13, 816:17, 817:2, 817:24, 819:18, 820:1, 820:6, 821:15, 821:18, 821:20, 821:21, 821:23, 822:18, 823:7, 823:22, 824:6, 824:14, 824:17, 826:3, 826:4, 826:20, 828:5, 828:12, 828:24, 829:7, 829:10, 829:14, 829:16, 830:6, 830:7, 833:1, 834:12, 835:21, 837:7, 837:19, 838:16, 840:10, 841:21, 841:23, 842:19, 844:7, 844:15, 844:22, 845:6, 845:11, 846:23, 847:9, 848:3, 849:4, 849:13, 849:16, 849:23, 850:16, 852:18, 853:24  <b>force</b> [1] - 703:7  <b>forecasting</b> [4] - 845:12, 845:14, 845:22, 845:23</p>	<p><b>foregoing</b> [1] - 855:10  <b>foreman</b> [1] - 704:13  <b>foremost</b> [1] - 847:21  <b>form</b> [5] - 659:20, 666:18, 686:13, 686:15, 840:21  <b>format</b> [1] - 801:18  <b>former</b> [3] - 829:13, 834:24, 840:16  <b>forth</b> [4] - 652:4, 712:2, 745:1, 835:11  <b>forward</b> [7] - 720:4, 769:3, 796:4, 825:1, 831:7, 831:18, 848:16  <b>forward-looking</b> [1] - 831:7  <b>Foster</b> [3] - 640:10, 642:12, 643:6  <b>found</b> [3] - 828:15, 840:1, 840:3  <b>foundation</b> [1] - 748:21  <b>four</b> [24] - 642:4, 645:17, 645:19, 645:23, 652:21, 654:22, 656:5, 673:13, 702:7, 702:10, 712:22, 718:22, 723:15, 725:3, 730:9, 731:1, 731:8, 731:10, 752:15, 757:13, 793:2, 832:2, 847:19  <b>four-hour</b> [1] - 673:13  <b>Fourteen</b> [1] - 704:1  <b>fourth</b> [1] - 845:16  <b>frame</b> [3] - 702:13, 718:21, 766:10  <b>FRANCAZIO</b> [23] - 643:21, 644:9, 654:16, 673:14, 674:23, 675:16, 677:17, 677:21, 689:17, 809:24, 810:3, 810:6, 810:8, 810:12, 810:15, 810:18, 810:21, 811:2, 811:5, 811:10, 856:6, 856:12, 857:5  <b>Francazio</b> [8] - 643:21, 718:5, 809:23, 841:11, 841:19, 846:9, 846:13, 850:16</p>	<p><b>Franklin</b> [1] - 641:3  <b>FRAPPIER</b> [89] - 653:20, 654:4, 654:10, 654:16, 654:24, 655:11, 655:14, 656:12, 656:23, 657:6, 657:16, 657:19, 657:22, 658:10, 658:20, 658:23, 659:3, 659:10, 659:12, 659:19, 659:22, 659:24, 660:5, 660:18, 660:20, 661:5, 662:24, 663:13, 663:15, 664:1, 664:15, 664:18, 664:20, 665:2, 665:7, 665:21, 665:24, 666:4, 666:17, 666:19, 666:22, 667:19, 667:23, 668:8, 668:14, 668:19, 668:21, 669:1, 669:7, 669:11, 669:19, 672:9, 672:17, 672:21, 673:10, 676:5, 676:14, 676:18, 677:1, 677:5, 677:10, 677:15, 678:6, 678:14, 678:17, 678:20, 678:23, 682:5, 682:8, 682:18, 683:2, 684:6, 684:10, 684:19, 685:18, 689:17, 695:7, 713:6, 721:15, 721:23, 722:11, 722:16, 723:4, 723:11, 723:13, 723:21, 856:8, 856:12, 857:5  <b>Frappier</b> [18] - 649:3, 651:10, 653:17, 653:18, 653:22, 654:2, 654:4, 654:12, 682:1, 685:24, 688:18, 689:5, 692:22, 693:4, 725:21, 734:11, 812:17, 837:18  <b>Frappier's</b> [2] - 656:19, 788:8  <b>free</b> [1] - 786:9  <b>Friday</b> [23] - 648:2, 657:3, 670:2, 697:23, 702:16, 705:5, 705:7,</p>
---	--	--	---	---



709:2, 721:11, 721:16, 722:2, 730:17, 730:22, 731:2, 732:1, 732:4, 732:8, 732:17, 818:20, 818:21, 822:2 <b>from</b> [125] - 642:17, 645:17, 646:5, 646:11, 646:22, 647:7, 648:8, 648:9, 657:18, 657:21, 660:6, 660:21, 660:23, 662:9, 664:6, 671:5, 674:19, 679:16, 681:19, 682:23, 683:6, 683:10, 684:7, 685:23, 686:5, 687:18, 689:6, 690:5, 692:4, 692:15, 693:6, 693:7, 693:8, 693:9, 693:13, 694:14, 697:1, 698:1, 702:13, 703:24, 704:2, 704:24, 705:18, 705:20, 708:12, 709:23, 710:17, 714:17, 715:10, 717:6, 717:24, 718:20, 718:22, 719:4, 721:1, 721:10, 725:14, 727:1, 727:10, 727:13, 727:24, 730:15, 732:7, 732:11, 732:12, 733:2, 733:23, 736:16, 736:24, 737:21, 740:11, 740:12, 742:17, 748:17, 749:4, 755:1, 755:17, 756:4, 757:7, 759:15, 761:7, 766:14, 766:19, 769:20, 769:24, 775:19, 776:2, 786:6, 786:9, 790:23, 793:5, 794:24, 795:16, 797:13, 807:24, 809:10, 811:8, 812:9, 813:18, 814:8, 814:15, 815:22, 818:14, 824:24, 826:15, 826:17, 828:2, 828:3, 828:18, 831:14, 831:15, 838:18, 838:22, 838:24, 839:24,	842:9, 845:8, 846:11, 850:6, 850:22, 851:4, 854:17 <b>From</b> [3] - 675:10, 693:20, 711:8 <b>front</b> [1] - 847:10 <b>frustrated</b> [9] - 756:12, 756:17, 757:24, 758:6, 759:1, 764:24, 768:15, 796:21 <b>frustration</b> [6] - 739:8, 756:6, 757:17, 758:16, 759:7, 768:8 <b>fulfill</b> [1] - 724:10 <b>full</b> [10] - 654:3, 664:9, 674:4, 688:3, 688:20, 703:5, 708:10, 737:9, 756:8, 795:17 <b>fully</b> [5] - 646:7, 705:14, 762:21, 785:24, 795:8 <b>function</b> [17] - 660:2, 688:17, 721:21, 726:3, 727:17, 730:2, 730:10, 730:12, 730:13, 730:23, 733:21, 735:23, 797:9, 829:22, 839:19, 840:18 <b>functional</b> [1] - 729:12 <b>functions</b> [12] - 649:12, 649:14, 659:4, 659:15, 661:1, 661:4, 663:22, 674:15, 674:21, 728:2, 732:18, 829:11 <b>fundamentally</b> [1] - 717:23 <b>further</b> [13] - 671:17, 671:23, 689:14, 694:6, 697:17, 698:12, 706:8, 751:2, 756:17, 807:14, 817:15, 819:12, 826:21 <b>fuse</b> [1] - 717:14 <b>future</b> [6] - 681:8, 760:2, 768:20, 768:22, 815:11, 815:12	644:8, 644:18, 654:15, 689:16, 721:4, 727:23, 732:14, 733:15, 734:9, 735:6, 735:11, 737:14, 737:17, 738:5, 738:12, 738:15, 741:5, 742:3, 742:19, 743:2, 743:4, 743:7, 743:23, 747:2, 758:2, 760:16, 761:5, 761:15, 772:7, 772:13, 772:17, 773:6, 777:18, 778:13, 778:18, 778:24, 779:8, 780:5, 780:13, 781:21, 782:2, 782:19, 783:1, 783:12, 784:1, 784:18, 786:11, 786:24, 787:8, 796:11, 798:15, 798:18, 805:22, 812:1, 856:4, 856:10, 857:3 <b>Gantz</b> [9] - 644:3, 736:24, 759:11, 780:2, 805:20, 811:22, 812:17, 813:18, 813:19 <b>gaps</b> [3] - 675:10, 675:11, 675:13 <b>Gardner</b> [1] - 772:11 <b>Gary</b> [2] - 641:8, 643:1 <b>GAS</b> [1] - 640:8 <b>gas</b> [26] - 660:22, 660:23, 771:15, 771:19, 771:21, 771:24, 772:1, 772:3, 772:8, 772:15, 772:19, 772:21, 773:2, 773:8, 773:15, 774:13, 774:15, 774:19, 774:24, 775:7, 775:15, 787:9, 817:17, 818:1, 818:2 <b>Gas</b> [7] - 641:6, 641:11, 642:7, 642:21, 654:6, 656:20, 835:8 <b>gather</b> [1] - 837:9 <b>gatherer</b> [1] - 829:6 <b>gathering</b> [2] - 683:5, 825:13 <b>gave</b> [5] - 696:21, 704:4, 779:5, 846:10, 852:17	<b>General</b> [10] - 641:12, 641:14, 642:10, 643:4, 643:6, 803:10, 807:19, 818:11, 821:15, 839:3 <b>general</b> [14] - 659:18, 695:14, 704:13, 722:9, 753:2, 775:24, 776:2, 776:7, 776:8, 776:14, 803:11, 803:24, 804:6, 804:12 <b>General's</b> [1] - 854:7 <b>general-bill-inquiry</b> [1] - 804:12 <b>generally</b> [3] - 751:23, 784:24, 838:15 <b>generate</b> [2] - 738:23, 817:8 <b>generated</b> [3] - 798:9, 814:8, 850:11 <b>generators</b> [2] - 714:14, 714:15 <b>Gentlemen</b> [1] - 809:21 <b>gentlemen</b> [3] - 644:10, 650:19, 712:4 <b>George</b> [1] - 745:20 <b>GEORGE</b> [6] - 644:7, 654:14, 689:15, 856:4, 856:10, 857:3 <b>get</b> [74] - 644:20, 651:2, 651:8, 656:18, 663:19, 680:3, 681:13, 683:4, 691:6, 691:19, 692:8, 693:14, 693:21, 695:22, 695:24, 697:21, 699:2, 700:4, 700:16, 701:10, 701:15, 704:15, 704:22, 704:23, 707:1, 707:16, 711:17, 714:1, 716:10, 723:13, 723:21, 726:22, 727:1, 727:21, 728:9, 735:1, 736:24, 738:9, 738:17, 739:3, 744:10, 744:13, 744:14, 750:7, 755:21, 756:6, 761:22, 766:20, 767:1, 769:4, 772:22, 789:5, 791:20, 791:24, 794:18, 794:19, 795:8, 796:9, 800:1, 800:12,	800:24, 801:2, 801:20, 804:13, 817:6, 818:9, 818:19, 824:15, 826:5, 846:11, 849:13, 852:4 <b>gets</b> [1] - 699:9 <b>getting</b> [23] - 682:9, 683:21, 690:22, 692:5, 693:8, 696:19, 698:2, 699:11, 702:20, 702:21, 705:2, 725:15, 725:16, 727:9, 732:7, 732:10, 732:12, 757:7, 775:9, 778:9, 796:19, 825:7, 848:2 <b>Ghebre</b> [2] - 640:13, 642:16 <b>GIS</b> [1] - 667:8 <b>give</b> [10] - 643:19, 669:21, 682:21, 745:5, 803:11, 829:10, 836:23, 846:16, 853:15, 853:17 <b>given</b> [5] - 661:15, 681:4, 708:10, 732:6, 734:24 <b>glean</b> [1] - 841:4 <b>Gloria</b> [1] - 836:15 <b>go</b> [59] - 643:8, 645:13, 647:8, 651:24, 652:2, 652:9, 653:12, 662:8, 662:10, 662:13, 671:10, 678:9, 684:18, 685:3, 687:3, 694:23, 695:20, 696:14, 702:23, 703:21, 703:22, 706:4, 717:6, 717:7, 717:12, 717:14, 718:14, 720:11, 725:1, 734:22, 747:14, 748:3, 748:6, 750:22, 751:2, 754:8, 762:9, 762:12, 764:16, 765:5, 765:9, 769:2, 789:8, 789:13, 792:5, 795:16, 803:22, 813:2, 813:22, 818:8, 819:11, 831:18, 844:23, 847:1, 848:23, 853:24, 854:3, 854:10, 854:12 <b>Go</b> [2] - 817:1, 818:5 <b>goes</b> [1] - 754:20
---	--	--	---	--

<p><b>going</b> [83] - 644:19, 647:2, 648:16, 651:20, 671:3, 671:10, 671:17, 673:4, 673:20, 673:23, 673:24, 682:6, 682:10, 682:12, 683:3, 683:8, 684:21, 687:21, 695:2, 695:19, 695:20, 697:16, 698:9, 698:18, 699:7, 699:8, 701:10, 701:11, 707:12, 709:15, 709:17, 716:10, 719:11, 720:4, 720:5, 720:23, 722:14, 723:2, 723:19, 726:5, 727:4, 736:20, 739:10, 742:22, 744:6, 744:15, 745:9, 745:24, 746:22, 747:22, 748:7, 748:9, 748:18, 748:22, 754:8, 756:1, 758:1, 759:6, 759:22, 762:16, 766:18, 769:9, 773:24, 775:21, 779:15, 796:4, 802:2, 802:3, 812:20, 820:5, 825:1, 827:3, 828:7, 841:21, 841:22, 842:5, 850:13, 851:5, 853:17, 854:4</p> <p><b>Going</b> [2] - 689:22, 702:5</p> <p><b>Golden</b> [1] - 649:9</p> <p><b>gone</b> [6] - 674:4, 681:1, 711:11, 771:16, 774:4, 814:12</p> <p><b>good</b> [19] - 644:24, 674:9, 681:4, 682:13, 693:12, 694:13, 737:6, 745:15, 745:24, 746:10, 755:16, 765:13, 794:19, 809:21, 838:24, 840:17, 842:10, 846:18, 853:20</p> <p><b>Good</b> [6] - 642:3, 644:16, 644:17, 644:18, 748:21, 787:13</p> <p><b>Gorge</b> [1] - 644:3</p> <p><b>got</b> [38] - 693:15,</p>	<p>694:14, 694:22, 695:1, 695:23, 696:7, 701:1, 701:9, 705:13, 706:16, 710:13, 712:5, 712:8, 720:13, 720:14, 736:20, 757:18, 758:7, 764:20, 766:7, 766:23, 770:15, 774:17, 774:18, 792:1, 792:20, 795:1, 796:19, 796:20, 803:16, 809:1, 809:16, 814:24, 842:12, 845:10, 850:22, 853:21</p> <p><b>gotten</b> [6] - 672:15, 707:5, 777:1, 786:8, 850:6, 850:8</p> <p><b>Goulet</b> [1] - 641:3</p> <p><b>grab</b> [1] - 750:9</p> <p><b>grabs</b> [1] - 750:13</p> <p><b>grasping</b> [1] - 751:12</p> <p><b>gratuitous</b> [1] - 786:10</p> <p><b>Great</b> [1] - 854:24</p> <p><b>great</b> [5] - 707:19, 725:12, 827:3, 834:11, 845:2</p> <p><b>Grid</b> [13] - 645:8, 645:18, 677:18, 689:7, 746:14, 810:6, 810:13, 810:19, 811:7, 811:8, 835:20, 836:2</p> <p><b>Grid's</b> [2] - 810:23, 833:10</p> <p><b>ground</b> [6] - 677:22, 678:7, 678:10, 679:12, 738:13, 738:14</p> <p><b>group</b> [10] - 670:18, 683:11, 691:20, 705:11, 727:21, 728:2, 731:20, 788:8, 817:11, 844:5</p> <p><b>grouped</b> [1] - 831:24</p> <p><b>groups</b> [1] - 837:2</p> <p><b>guess</b> [7] - 694:2, 737:3, 809:6, 812:20, 824:18, 830:24, 832:9</p> <p><b>guidance</b> [1] - 769:5</p> <p><b>guide</b> [1] - 823:2</p> <p><b>guy</b> [2] - 662:4, 662:16</p> <p><b>guys</b> [3] - 661:16, 661:18, 708:3</p>	<p><b>H</b></p> <p><b>H</b> [3] - 640:22, 855:9, 855:23</p> <p><b>Had</b> [1] - 650:16</p> <p><b>had</b> [244] - 645:19, 648:8, 650:7, 651:11, 651:16, 652:16, 657:7, 660:20, 660:21, 662:4, 664:11, 667:11, 667:24, 668:2, 668:6, 668:8, 668:18, 668:24, 669:8, 669:12, 669:18, 670:4, 670:21, 671:3, 671:4, 671:9, 672:18, 672:23, 672:24, 673:2, 673:11, 675:21, 676:5, 677:2, 677:16, 678:6, 678:7, 678:12, 680:17, 681:1, 682:3, 682:8, 683:6, 685:5, 685:19, 685:21, 686:4, 687:10, 690:1, 690:5, 690:17, 690:18, 690:22, 690:23, 691:5, 691:8, 691:24, 692:5, 692:16, 692:17, 692:18, 693:10, 695:16, 696:4, 697:20, 697:23, 698:4, 698:11, 698:14, 698:16, 698:17, 700:18, 700:20, 700:24, 701:7, 701:24, 703:12, 703:13, 704:10, 704:23, 704:24, 705:14, 705:15, 705:19, 705:23, 705:24, 706:2, 706:9, 706:11, 706:12, 707:4, 707:6, 707:22, 708:11, 708:20, 709:1, 710:14, 710:18, 710:23, 711:15, 711:22, 712:6, 712:14, 712:21, 713:19, 714:1, 714:18, 715:6, 718:1, 718:2, 718:24, 719:24, 720:2, 720:5, 720:16, 721:19, 723:5, 723:6, 723:14, 723:24, 724:24,</p>	<p>727:24, 728:21, 730:14, 731:7, 733:18, 733:23, 734:13, 735:18, 735:19, 735:21, 735:23, 736:3, 736:6, 736:7, 736:9, 736:21, 737:8, 737:20, 737:21, 737:23, 737:24, 739:11, 739:13, 739:17, 740:1, 740:18, 741:6, 741:14, 741:19, 742:15, 744:24, 746:8, 751:19, 754:15, 755:3, 755:4, 755:12, 756:15, 758:4, 759:17, 760:9, 764:23, 765:12, 765:15, 768:7, 770:22, 771:16, 774:4, 776:9, 776:19, 778:11, 778:22, 781:20, 785:20, 787:18, 792:11, 792:16, 793:1, 793:22, 794:10, 795:6, 795:8, 795:12, 796:13, 797:1, 797:5, 797:6, 797:8, 798:24, 799:20, 805:20, 807:20, 807:23, 808:3, 808:8, 811:5, 813:19, 814:12, 814:19, 815:10, 818:23, 819:9, 820:20, 824:16, 827:19, 827:20, 827:21, 829:8, 830:7, 831:18, 832:21, 834:19, 834:21, 835:14, 835:20, 836:2, 837:15, 837:18, 840:3, 840:24, 841:19, 843:2, 843:14, 844:23, 845:19, 845:20, 846:14, 847:16, 852:4, 852:19, 853:3, 853:16, 853:22, 854:13</p> <p><b>hadn't</b> [5] - 672:15, 690:14, 698:8, 732:6, 733:5</p> <p><b>hair</b> [1] - 845:1</p> <p><b>half</b> [5] - 673:8, 673:13, 673:16,</p>	<p>674:2, 843:7</p> <p><b>half-baked</b> [1] - 843:7</p> <p><b>half-day</b> [1] - 673:16</p> <p><b>hampered</b> [2] - 713:8, 714:2</p> <p><b>Hampshire</b> [12] - 641:9, 688:10, 689:1, 690:17, 690:18, 703:13, 703:17, 729:11, 747:5, 747:9, 747:11, 821:21</p> <p><b>Hampton</b> [3] - 641:9, 688:24, 732:15</p> <p><b>hand</b> [5] - 710:19, 720:10, 734:13, 779:22, 846:21</p> <p><b>handed</b> [2] - 685:17, 762:13</p> <p><b>handing</b> [1] - 685:8</p> <p><b>handle</b> [7] - 662:13, 788:20, 789:16, 789:21, 789:22, 790:7, 801:20</p> <p><b>handled</b> [3] - 747:11, 790:24, 795:10</p> <p><b>handling</b> [1] - 731:12</p> <p><b>handout</b> [2] - 778:22, 778:24</p> <p><b>Handwritten</b> [1] - 684:9</p> <p><b>handwritten</b> [1] - 684:11</p> <p><b>happen</b> [3] - 707:20, 713:14, 836:5</p> <p><b>happened</b> [13] - 644:21, 706:14, 712:8, 729:9, 740:20, 752:13, 778:2, 784:12, 792:12, 800:20, 814:20, 815:10, 823:12</p> <p><b>happening</b> [6] - 650:11, 720:3, 720:8, 727:8, 729:10, 741:4</p> <p><b>happens</b> [1] - 814:5</p> <p><b>happy</b> [3] - 704:18, 758:8, 816:7</p> <p><b>hard</b> [8] - 660:4, 661:2, 741:20, 743:5, 743:11, 757:4, 757:23, 807:14</p> <p><b>has</b> [35] - 647:10, 694:9, 694:10, 727:4, 727:15, 734:22, 739:14, 745:2, 749:15, 750:18,</p>
---	--	---	---	---

762:2, 762:13,  
763:18, 764:10,  
768:13, 769:12,  
769:20, 771:13,  
771:24, 772:19,  
788:1, 788:3, 788:13,  
790:1, 799:12,  
811:17, 812:5,  
822:15, 826:6, 831:2,  
834:21, 839:18,  
851:14, 851:16, 854:8  
**Has** [5] - 674:7,  
676:11, 676:15,  
788:18, 850:2  
**hasn't** [1] - 779:18  
**Have** [5] - 658:18,  
813:13, 832:9, 851:6,  
853:11  
**have** [262] - 645:13,  
646:20, 648:17,  
650:10, 650:11,  
650:19, 650:22,  
651:15, 651:17,  
651:20, 651:24,  
652:1, 652:12, 653:1,  
653:6, 653:10,  
653:21, 655:3,  
658:10, 659:5, 660:1,  
660:5, 660:16,  
661:19, 661:23,  
662:6, 663:16, 666:8,  
667:7, 667:9, 667:11,  
669:17, 669:23,  
670:3, 671:18,  
671:23, 672:9,  
672:11, 672:13,  
672:19, 672:24,  
673:2, 673:17,  
673:19, 674:5,  
674:23, 675:1, 675:3,  
675:10, 676:2,  
676:14, 676:18,  
676:23, 677:2, 677:7,  
677:13, 678:13,  
678:14, 678:18,  
678:20, 679:2, 680:9,  
681:2, 681:3, 682:2,  
682:24, 685:10,  
685:19, 686:18,  
686:24, 687:7,  
687:17, 689:13,  
691:22, 693:5, 693:6,  
693:7, 693:18, 694:5,  
694:13, 694:20,  
694:23, 696:14,  
698:6, 700:1, 700:8,  
701:2, 701:8, 705:10,  
705:21, 706:4,

706:24, 708:4, 708:7,  
709:6, 709:15, 710:4,  
710:23, 711:2,  
711:11, 712:19,  
714:1, 714:8, 717:8,  
717:11, 717:18,  
717:20, 718:1,  
718:20, 722:8,  
722:22, 722:23,  
723:15, 724:23,  
725:4, 725:5, 725:12,  
725:22, 726:4, 726:5,  
726:20, 727:1, 727:2,  
730:20, 731:4, 731:9,  
732:18, 732:22,  
734:4, 739:6, 739:7,  
739:21, 740:7,  
741:11, 742:2,  
742:11, 744:7,  
744:22, 747:10,  
748:12, 748:13,  
750:4, 751:14, 752:3,  
754:24, 755:16,  
757:9, 757:14, 760:3,  
760:7, 760:17,  
760:19, 761:3, 761:8,  
764:10, 764:12,  
764:19, 765:10,  
766:2, 768:2, 769:1,  
770:9, 772:9, 773:2,  
773:7, 773:21, 777:1,  
777:18, 779:9,  
779:21, 780:5, 783:9,  
784:15, 784:16,  
784:21, 785:4, 785:6,  
785:12, 785:20,  
785:21, 786:3, 786:8,  
786:15, 786:16,  
786:19, 787:9,  
788:15, 788:24,  
792:5, 792:7, 792:17,  
792:23, 792:24,  
793:11, 794:1,  
794:11, 795:13,  
795:14, 795:22,  
798:23, 799:15,  
800:19, 801:10,  
802:18, 802:24,  
803:2, 803:4, 803:21,  
804:17, 805:18,  
806:18, 810:17,  
812:21, 813:15,  
815:10, 815:18,  
817:10, 817:11,  
819:9, 820:6, 821:4,  
822:6, 826:21,  
828:11, 828:24,  
830:24, 833:10,

833:11, 835:4, 835:6,  
835:21, 835:23,  
836:16, 837:21,  
839:22, 840:17,  
840:21, 841:10,  
842:3, 843:16,  
843:21, 844:9, 845:1,  
848:1, 848:12,  
848:15, 849:6,  
849:22, 851:11,  
851:19, 852:9,  
852:12, 852:21,  
853:5, 853:7, 853:13,  
854:9  
**haven't** [2] - 850:8,  
850:10  
**having** [11] - 683:10,  
693:16, 732:23,  
745:16, 751:11,  
796:1, 796:19,  
796:22, 808:12,  
812:9, 844:20  
**hazard** [1] - 673:17  
**hazard-related** [1] -  
673:17  
**hazards** [1] - 673:22  
**he** [21] - 656:19,  
686:11, 687:2,  
704:13, 704:21,  
704:22, 705:3,  
706:19, 706:21,  
707:8, 806:6, 809:22,  
825:6, 841:21,  
841:22, 846:13,  
846:16  
**He** [4] - 693:12,  
704:8, 707:10, 829:14  
**he's** [1] - 812:6  
**He's** [3] - 829:13,  
834:24, 835:1  
**head** [4] - 658:11,  
663:2, 709:9, 793:20  
**heading** [1] - 846:17  
**headings** [1] -  
803:10  
**headquarters** [2] -  
797:3, 797:7  
**healthy** [1] - 691:3  
**hear** [7] - 660:4,  
670:6, 714:14,  
715:16, 755:11,  
763:12, 791:14  
**heard** [4] - 713:7,  
714:17, 732:6, 826:22  
**hearing** [12] -  
642:13, 642:15,  
687:2, 693:9, 759:4,

779:4, 826:3, 826:22,  
837:17, 838:5,  
838:10, 839:12  
**HEARING** [1] - 640:5  
**Hearing** [5] - 640:9,  
640:10, 655:15,  
656:17, 854:19  
**hearings** [10] -  
642:4, 778:2, 778:19,  
814:23, 818:21,  
838:7, 838:10,  
838:18, 838:20,  
839:22  
**held** [3] - 640:5,  
823:10, 830:10  
**helicopter** [10] -  
676:3, 676:10,  
676:12, 676:19,  
678:12, 679:2, 680:1,  
680:5, 680:10, 681:3  
**helicopters** [1] -  
679:21  
**help** [12] - 655:9,  
667:2, 682:12, 689:8,  
716:18, 751:17,  
804:2, 811:12,  
817:14, 835:13,  
840:21, 842:17  
**helpful** [4] - 644:24,  
645:5, 843:12, 846:2  
**her** [15] - 653:6,  
721:23, 730:20,  
731:5, 731:14,  
731:18, 731:19,  
731:21, 731:22,  
732:22, 732:23,  
829:19, 839:11  
**here** [23] - 643:8,  
655:23, 663:14,  
710:5, 714:16,  
748:13, 768:2, 770:9,  
771:17, 773:24,  
775:3, 775:19, 779:1,  
779:7, 780:3, 780:11,  
781:5, 826:9, 830:16,  
832:5, 847:18, 851:20  
**here's** [1] - 720:13  
**Here's** [2] - 834:12,  
846:20  
**hereinafter** [1] -  
642:9  
**herself** [2] - 839:3,  
839:12  
**Hey** [1] - 842:2  
**High** [1] - 803:10  
**high** [19] - 706:12,  
724:4, 753:8, 758:12,

775:23, 776:1, 776:7,  
776:13, 792:9, 800:9,  
800:19, 803:16,  
803:18, 803:19,  
803:23, 804:5, 804:7,  
804:13, 835:5  
**high-bill** [8] - 776:1,  
776:7, 800:9, 803:19,  
803:23, 804:5, 804:7,  
804:13  
**higher** [5] - 772:5,  
801:4, 804:12, 804:23  
**Highway** [1] - 654:5  
**Hill** [1] - 820:3  
**him** [14] - 677:2,  
693:12, 693:13,  
706:17, 706:18,  
707:3, 707:6, 725:22,  
825:5, 842:1, 842:9,  
843:2, 843:4, 846:16  
**himself** [3] - 653:22,  
704:5, 853:23  
**hindsight** [6] -  
678:11, 742:3, 742:8,  
742:10, 742:11,  
742:14  
**hire** [1] - 844:20  
**hired** [1] - 790:1  
**hiring** [1] - 789:23  
**His** [1] - 704:23  
**his** [16] - 653:22,  
658:4, 704:6, 704:24,  
707:11, 736:14,  
806:5, 825:8, 829:12,  
829:17, 829:18,  
839:14, 841:20  
**historic** [1] - 781:7  
**historical** [2] -  
788:23, 789:14  
**historically** [1] -  
773:1  
**history** [1] - 851:15  
**hit** [2] - 656:16,  
755:12  
**hits** [1] - 792:10  
**hold** [4] - 674:20,  
700:18, 755:20, 783:6  
**holiday** [2] - 752:15,  
834:8  
**holidays** [2] - 705:3,  
752:4  
**home** [3] - 726:21,  
800:2, 834:12  
**honest** [3] - 744:9,  
744:10, 744:16  
**hope** [1] - 852:14  
**hoped** [1] - 834:19

<p><b>hopeful</b> <sup>[1]</sup> - 694:21</p> <p><b>hoping</b> <sup>[1]</sup> - 694:24</p> <p><b>hour</b> <sup>[2]</sup> - 673:13, 799:24</p> <p><b>hours</b> <sup>[36]</sup> - 648:15, 650:12, 651:19, 652:2, 655:12, 666:6, 666:7, 666:10, 672:12, 673:3, 693:12, 693:14, 698:11, 698:23, 708:19, 709:7, 709:16, 710:1, 710:7, 710:16, 711:5, 711:11, 712:23, 714:5, 715:7, 715:8, 715:19, 716:13, 717:12, 719:10, 719:11, 719:18, 790:23, 794:14, 818:19, 828:17</p> <p><b>house</b> <sup>[2]</sup> - 726:21, 836:23</p> <p><b>how</b> <sup>[74]</sup> - 645:11, 651:2, 651:23, 658:8, 661:3, 661:23, 663:3, 667:13, 669:20, 671:3, 672:19, 672:23, 681:14, 681:18, 682:22, 682:24, 683:1, 683:15, 685:7, 685:16, 694:19, 702:7, 702:11, 707:24, 709:6, 709:14, 709:15, 709:24, 710:10, 710:14, 710:16, 711:4, 714:20, 715:13, 715:17, 719:11, 722:9, 723:14, 726:12, 727:5, 738:14, 749:18, 753:13, 757:13, 767:8, 767:20, 769:2, 776:16, 778:6, 778:8, 787:5, 789:11, 789:20, 789:21, 792:5, 795:4, 799:15, 801:20, 801:23, 806:13, 808:15, 814:4, 815:13, 817:7, 817:8, 826:5, 826:6, 836:2, 839:19, 840:14, 840:17, 844:1</p> <p><b>How</b> <sup>[14]</sup> - 657:12, 660:8, 662:22,</p>	<p>670:24, 692:8, 702:23, 708:19, 735:2, 743:10, 744:3, 761:17, 770:8, 817:2, 817:5</p> <p><b>However</b> <sup>[2]</sup> - 760:5, 777:7</p> <p><b>however</b> <sup>[2]</sup> - 662:12, 756:17</p> <p><b>huh</b> <sup>[1]</sup> - 711:6</p> <p><b>human</b> <sup>[1]</sup> - 751:9</p> <p><b>hundred</b> <sup>[1]</sup> - 709:6</p> <p><b>hundreds</b> <sup>[1]</sup> - 675:2</p> <p><b>Hurricane</b> <sup>[6]</sup> - 832:17, 833:5, 833:22, 836:8, 836:15, 851:17</p> <p><b>hurricane</b> <sup>[3]</sup> - 811:4, 827:22, 849:16</p> <p><b>hurricanes</b> <sup>[1]</sup> - 835:9</p> <p><b>hypothetical</b> <sup>[1]</sup> - 743:24</p>	<p>680:22, 681:6, 681:7, 681:8, 681:10, 682:5, 682:8, 683:10, 683:19, 683:20, 686:4, 686:10, 686:18, 688:14, 688:15, 688:16, 689:4, 689:10, 689:13, 690:4, 690:5, 690:7, 691:8, 692:11, 693:2, 694:2, 694:8, 694:19, 694:20, 695:13, 696:5, 696:12, 697:3, 697:4, 697:10, 697:21, 698:2, 698:3, 698:4, 699:9, 699:10, 699:16, 699:19, 700:15, 700:21, 701:6, 701:13, 701:17, 701:22, 701:24, 702:2, 702:22, 703:10, 703:23, 703:24, 704:3, 704:4, 704:5, 704:10, 705:8, 705:9, 705:11, 705:12, 705:13, 705:16, 705:17, 705:18, 705:22, 706:9, 706:13, 706:14, 706:16, 706:18, 706:21, 706:24, 707:3, 707:6, 708:6, 708:9, 708:22, 708:23, 709:2, 709:8, 709:19, 710:4, 710:6, 710:9, 711:12, 711:13, 712:2, 712:4, 712:12, 715:5, 715:16, 716:3, 716:16, 716:19, 716:23, 717:6, 717:7, 717:16, 717:17, 717:21, 717:23, 718:5, 718:11, 719:3, 720:24, 722:1, 722:2, 722:11, 722:17, 722:18, 722:20, 722:21, 723:6, 723:13, 724:1, 724:5, 724:7, 724:8, 724:15, 725:5, 725:18, 725:19, 725:20, 726:15, 726:16, 727:20, 727:23, 729:8, 729:12, 729:23, 730:2, 730:5,</p>	<p>730:11, 730:17, 730:19, 731:6, 732:4, 732:6, 732:9, 732:13, 732:14, 732:15, 732:20, 733:9, 733:15, 733:17, 733:21, 734:2, 735:11, 735:12, 735:14, 735:21, 736:24, 737:3, 737:5, 737:8, 737:14, 741:18, 741:22, 742:3, 742:8, 742:9, 742:13, 743:6, 743:15, 743:16, 743:24, 744:20, 744:22, 744:23, 745:3, 745:8, 745:12, 745:13, 745:20, 746:1, 746:8, 746:12, 746:13, 746:19, 747:3, 747:7, 747:18, 748:18, 748:24, 749:3, 749:11, 749:22, 751:11, 751:15, 752:21, 752:23, 753:15, 754:10, 754:15, 754:20, 754:24, 755:1, 755:6, 755:9, 756:3, 756:4, 756:5, 756:8, 756:19, 756:24, 757:2, 757:5, 757:12, 757:16, 757:18, 758:2, 758:10, 759:11, 760:18, 760:19, 760:20, 761:5, 761:7, 761:10, 762:7, 765:21, 766:6, 766:15, 769:9, 769:24, 770:4, 770:9, 770:10, 770:16, 770:18, 771:10, 771:15, 772:7, 772:17, 772:19, 772:24, 773:1, 773:7, 773:9, 773:11, 773:17, 774:6, 774:7, 774:11, 774:20, 775:1, 775:4, 775:5, 775:6, 775:9, 775:12, 775:18, 775:23, 776:2, 776:9, 776:16, 777:19, 777:24, 778:3, 778:18, 778:20, 779:2, 779:3, 779:5, 779:8, 779:11,</p>	<p>780:5, 780:6, 780:11, 780:13, 781:13, 782:2, 782:19, 783:4, 784:1, 784:15, 784:16, 784:18, 784:23, 785:2, 786:10, 786:11, 786:12, 787:5, 788:9, 788:12, 790:12, 790:13, 791:8, 791:15, 791:22, 792:2, 792:7, 792:8, 793:1, 793:5, 793:15, 793:17, 793:20, 793:21, 793:22, 794:9, 795:5, 795:17, 795:23, 796:11, 796:12, 796:13, 796:15, 796:22, 797:23, 798:18, 798:22, 798:24, 799:6, 799:8, 800:2, 800:13, 800:14, 800:23, 801:4, 801:22, 801:23, 802:9, 803:9, 803:21, 804:2, 804:5, 804:6, 804:7, 804:17, 805:18, 805:22, 806:4, 806:15, 806:19, 807:2, 807:3, 808:5, 808:6, 809:5, 810:3, 810:6, 810:8, 810:12, 811:5, 811:11, 811:15, 811:19, 811:21, 812:1, 812:3, 812:5, 812:16, 812:17, 812:20, 813:2, 813:4, 813:17, 813:18, 813:19, 814:11, 814:17, 814:19, 815:7, 815:9, 815:15, 815:18, 815:23, 816:12, 816:20, 816:23, 817:10, 817:12, 817:13, 817:21, 820:20, 821:1, 821:2, 821:8, 821:14, 821:18, 822:5, 822:6, 822:11, 822:15, 822:18, 823:1, 823:3, 823:8, 823:9, 823:19, 824:10, 824:13, 824:18, 825:5, 825:7, 825:12, 825:13, 825:16, 825:18,</p>
<b>I</b>				
<p><b>i</b> <sup>[1]</sup> - 850:22</p> <p><b>I</b> <sup>[748]</sup> - 642:2, 642:12, 644:23, 645:3, 645:5, 647:9, 647:18, 648:6, 648:12, 648:17, 649:11, 650:18, 651:1, 651:2, 651:11, 651:22, 652:7, 652:17, 654:10, 656:12, 656:20, 657:11, 658:3, 658:7, 658:10, 658:12, 658:23, 659:16, 660:10, 660:12, 661:6, 662:17, 662:18, 663:1, 663:6, 663:13, 664:8, 665:9, 665:13, 666:24, 667:4, 667:15, 668:2, 668:21, 670:1, 670:5, 671:2, 671:9, 671:15, 671:17, 671:18, 671:23, 671:24, 672:23, 673:3, 673:10, 673:12, 673:14, 673:15, 673:16, 674:16, 676:6, 677:2, 677:15, 677:17, 679:9, 679:22, 680:7, 680:9, 680:13, 680:16,</p>				

825:21, 826:2, 826:4,  
826:8, 826:10,  
826:14, 826:24,  
827:6, 827:8, 827:15,  
827:16, 827:17,  
827:18, 828:4, 828:5,  
828:13, 828:24,  
829:4, 829:8, 829:16,  
830:5, 830:6, 830:7,  
830:9, 830:24, 831:1,  
831:6, 831:12,  
831:15, 831:21,  
832:9, 832:12,  
832:13, 832:14,  
832:21, 832:22,  
833:5, 833:6, 833:8,  
833:11, 833:16,  
833:20, 834:3, 834:7,  
834:8, 834:9, 834:10,  
834:11, 834:20,  
834:22, 834:23,  
835:2, 835:4, 835:7,  
835:12, 835:14,  
835:19, 835:20,  
835:22, 835:23,  
836:1, 836:8, 836:13,  
836:16, 836:17,  
836:18, 836:21,  
837:1, 837:4, 837:5,  
837:10, 837:15,  
837:16, 837:17,  
837:23, 838:4, 838:6,  
838:11, 838:17,  
838:18, 838:21,  
838:23, 839:2, 839:8,  
839:10, 839:15,  
839:16, 839:19,  
839:24, 840:1, 840:3,  
840:4, 840:12,  
840:14, 840:16,  
840:17, 840:20,  
840:21, 840:22,  
840:23, 840:24,  
841:6, 841:8, 841:13,  
841:20, 842:1, 842:5,  
842:6, 842:10,  
842:11, 842:12,  
842:15, 842:18,  
842:19, 842:24,  
843:5, 843:7, 843:10,  
843:11, 843:16,  
843:17, 843:18,  
843:23, 843:24,  
844:1, 844:2, 844:3,  
844:4, 844:5, 844:6,  
844:11, 844:21,  
844:22, 844:23,  
845:1, 845:2, 845:4,

845:8, 845:10,  
845:14, 845:19,  
846:1, 846:5, 846:6,  
846:8, 846:12,  
846:18, 846:24,  
847:4, 847:9, 847:17,  
847:22, 848:1, 848:5,  
848:11, 848:12,  
848:14, 848:17,  
848:23, 849:1, 849:2,  
849:13, 849:14,  
849:19, 849:20,  
849:21, 849:23,  
850:8, 850:16,  
850:22, 851:3, 851:8,  
851:15, 851:16,  
851:19, 851:24,  
852:4, 852:7, 852:8,  
852:9, 852:10,  
852:11, 852:12,  
852:13, 852:14,  
852:19, 852:23,  
853:1, 853:5, 853:6,  
853:9, 853:10,  
853:12, 853:13,  
853:14, 853:16,  
853:19, 854:12,  
854:19, 854:21,  
855:9, 856:1  
**I'd** [24] - 644:10,  
648:1, 653:18,  
656:18, 671:18,  
687:6, 687:17, 694:2,  
706:4, 708:3, 725:19,  
755:11, 773:21,  
780:2, 782:7, 807:21,  
809:23, 816:7,  
816:10, 821:7,  
828:13, 842:4, 844:24  
**I'll** [10] - 645:7,  
657:11, 702:23,  
703:22, 742:16,  
804:24, 817:18,  
829:18, 838:12, 839:5  
**I'm** [90] - 648:16,  
654:5, 655:6, 658:12,  
659:8, 660:14,  
661:17, 664:20,  
667:21, 669:4, 670:5,  
670:14, 673:4, 676:9,  
677:5, 679:1, 679:5,  
679:20, 687:21,  
688:23, 694:9, 696:6,  
697:4, 699:8, 707:16,  
708:22, 710:4,  
715:16, 717:3,  
718:11, 720:23,  
730:10, 734:5, 737:3,

738:2, 741:1, 741:15,  
743:6, 743:23,  
748:22, 749:15,  
749:17, 760:13,  
761:2, 762:4, 762:16,  
770:10, 771:23,  
772:4, 777:16, 783:1,  
783:7, 786:11,  
791:16, 792:11,  
794:6, 795:18,  
799:22, 802:14,  
803:15, 803:17,  
804:9, 804:11,  
804:13, 804:15,  
804:22, 808:14,  
809:6, 812:20,  
813:11, 814:21,  
815:4, 816:7, 816:22,  
820:5, 822:4, 825:15,  
827:1, 828:4, 829:17,  
830:2, 832:8, 833:18,  
838:11, 838:16,  
838:21, 844:21,  
845:16  
**I've** [15] - 673:11,  
719:1, 737:12, 756:9,  
764:20, 782:18,  
803:16, 826:3,  
826:15, 829:16,  
829:17, 829:21,  
849:7, 852:1, 853:21  
**ice** [18] - 654:9,  
762:16, 763:14,  
763:15, 770:6,  
784:15, 810:2, 810:4,  
811:9, 811:24, 812:3,  
812:4, 812:23,  
820:16, 830:18,  
830:23, 835:10,  
835:17  
**idea** [7] - 669:17,  
681:4, 694:13, 709:6,  
836:23, 846:16,  
850:10  
**identification** [11] -  
686:23, 687:14,  
687:16, 762:17,  
762:19, 765:11,  
770:1, 774:6, 779:21,  
779:24, 820:6  
**identified** [16] -  
664:21, 674:8, 679:7,  
680:14, 680:17,  
684:20, 685:1,  
729:15, 731:7, 731:9,  
739:15, 784:4, 823:4,  
831:12, 834:4, 849:7  
**identify** [15] - 642:20,

643:15, 653:22,  
660:19, 684:1, 686:1,  
687:21, 780:23,  
782:4, 796:15,  
817:16, 818:1, 820:8,  
822:23, 823:16  
**identifying** [2] -  
683:2, 762:24  
**if** [109] - 643:8,  
644:24, 645:10,  
646:1, 648:20,  
655:15, 663:6,  
665:12, 667:10,  
672:18, 676:22,  
676:24, 680:2,  
681:24, 682:14,  
682:21, 694:8, 697:4,  
697:10, 697:11,  
706:2, 706:9, 707:8,  
709:19, 709:20,  
717:19, 719:2, 719:5,  
719:7, 722:6, 722:18,  
723:8, 723:23, 728:9,  
730:14, 730:18,  
732:9, 737:12,  
738:10, 743:12,  
749:23, 750:16,  
750:22, 750:24,  
751:4, 751:16, 753:7,  
755:4, 755:18,  
755:19, 756:4, 757:2,  
757:11, 757:13,  
758:13, 760:1, 760:9,  
764:20, 766:21,  
767:16, 768:17,  
768:18, 768:21,  
768:22, 773:1,  
773:21, 778:11,  
784:21, 789:19,  
793:22, 793:23,  
794:17, 794:20,  
799:8, 801:13, 802:6,  
802:11, 802:13,  
802:14, 803:15,  
804:15, 808:15,  
808:16, 812:1, 812:2,  
824:2, 824:4, 825:7,  
831:1, 831:21, 833:5,  
833:8, 833:9, 835:23,  
842:2, 842:3, 844:4,  
845:2, 845:15,  
847:15, 848:6,  
848:12, 849:16,  
852:23, 853:17,  
853:20, 853:22  
**If** [37] - 646:19,  
658:15, 662:4, 670:1,  
672:24, 678:12,

681:1, 696:15,  
717:24, 718:12,  
724:1, 726:24,  
743:21, 749:11,  
749:12, 750:17,  
758:2, 759:11, 761:5,  
763:18, 769:11,  
773:13, 775:6, 780:3,  
791:8, 795:5, 798:22,  
801:22, 801:23,  
802:12, 802:17,  
811:12, 818:18,  
825:23, 844:22,  
847:13, 851:3  
**imagine** [4] - 652:17,  
770:16, 792:2, 792:7  
**imagining** [1] -  
792:11  
**immediately** [7] -  
651:15, 680:11,  
698:22, 706:3,  
726:24, 803:16, 806:7  
**impact** [5] - 712:6,  
712:13, 742:6,  
792:20, 799:13  
**impending** [1] -  
653:5  
**implement** [1] -  
844:8  
**implementation** [5] -  
795:16, 823:24,  
851:23, 852:3, 852:6  
**implemented** [4] -  
849:11, 851:2, 851:3,  
851:5  
**implementing** [4] -  
841:23, 849:4,  
850:14, 850:19  
**implications** [1] -  
787:10  
**importance** [1] -  
730:1  
**important** [11] -  
713:22, 726:16,  
730:13, 731:5, 758:3,  
807:4, 823:14,  
823:19, 826:2,  
847:18, 847:22  
**impossible** [1] -  
750:1  
**impressed** [2] -  
839:11, 839:20  
**impression** [1] -  
737:1  
**impressions** [1] -  
838:8  
**improve** [2] - 746:5,

773:11 in [622] - 642:4, 642:19, 643:10, 644:12, 645:1, 645:17, 646:16, 646:20, 646:23, 647:3, 647:5, 647:10, 647:17, 648:6, 649:21, 651:18, 652:3, 652:9, 652:12, 652:21, 654:22, 655:10, 655:11, 656:5, 656:15, 657:13, 657:21, 658:4, 658:9, 659:2, 659:21, 660:2, 660:6, 660:15, 661:8, 662:5, 663:4, 663:12, 663:23, 664:2, 664:4, 664:9, 664:12, 664:16, 664:24, 665:5, 665:17, 666:13, 668:10, 669:9, 670:13, 671:5, 671:7, 671:15, 672:4, 673:6, 673:11, 673:14, 673:18, 674:18, 675:1, 675:3, 675:8, 675:10, 675:19, 676:3, 676:12, 676:15, 676:16, 676:23, 677:11, 677:14, 677:18, 677:19, 677:23, 678:4, 678:6, 678:12, 678:18, 679:7, 680:1, 680:8, 681:8, 681:13, 683:6, 683:18, 683:22, 684:7, 684:23, 685:6, 685:16, 686:6, 686:8, 686:10, 686:12, 686:14, 686:15, 687:9, 688:12, 688:14, 689:2, 689:10, 689:12, 690:11, 690:13, 690:17, 690:18, 690:24, 691:5, 692:16, 692:17, 692:18, 692:19, 692:20, 692:23, 692:24, 693:5, 693:11, 693:19, 693:21, 694:7, 694:8, 694:21, 695:15, 695:18, 697:18, 698:1, 698:24,	699:16, 699:20, 700:15, 700:16, 700:17, 701:7, 702:13, 703:9, 703:17, 703:19, 704:8, 704:13, 704:16, 704:17, 704:24, 705:2, 705:17, 706:12, 706:14, 707:20, 708:20, 709:2, 709:3, 709:12, 709:20, 710:4, 710:14, 712:2, 712:12, 714:9, 714:10, 714:12, 714:14, 714:22, 714:24, 715:22, 716:4, 716:6, 716:7, 716:9, 716:13, 717:5, 717:7, 717:19, 717:21, 717:22, 717:24, 718:6, 718:8, 718:9, 718:23, 719:10, 719:11, 719:14, 719:19, 720:3, 720:5, 720:6, 722:5, 722:6, 722:12, 722:14, 722:16, 723:21, 723:24, 724:3, 724:7, 724:16, 724:22, 725:5, 725:17, 725:19, 725:23, 726:4, 726:5, 726:19, 726:22, 727:1, 727:9, 727:15, 728:1, 728:2, 728:8, 728:17, 729:5, 729:9, 729:11, 729:12, 729:15, 730:6, 730:24, 731:14, 731:18, 731:19, 732:8, 732:15, 732:16, 732:17, 732:22, 733:6, 733:16, 734:4, 734:12, 734:15, 734:18, 734:19, 735:17, 735:20, 736:4, 736:6, 736:8, 736:9, 736:11, 736:16, 737:7, 737:19, 737:22, 737:23, 738:1, 738:3, 738:7, 738:16, 738:22, 739:9, 739:16, 739:20, 740:1, 740:5, 740:6, 741:3, 741:8, 742:3,	742:8, 742:10, 742:11, 742:12, 742:14, 742:20, 742:22, 743:1, 746:14, 746:18, 746:19, 747:10, 747:13, 747:21, 747:23, 748:3, 749:6, 749:16, 751:3, 751:6, 751:13, 751:19, 751:21, 752:3, 752:4, 752:6, 752:8, 752:11, 752:12, 752:18, 753:10, 753:13, 753:23, 754:13, 754:14, 754:15, 754:16, 755:3, 755:16, 756:5, 756:6, 756:18, 756:23, 757:17, 758:11, 758:12, 758:19, 758:23, 759:8, 759:9, 760:2, 760:3, 760:5, 760:6, 760:12, 761:2, 761:8, 761:9, 761:11, 761:13, 761:21, 763:16, 764:17, 764:24, 765:2, 765:16, 765:24, 766:3, 767:16, 767:17, 767:18, 767:20, 768:10, 768:14, 768:20, 768:21, 768:22, 769:5, 769:19, 770:5, 770:11, 770:23, 771:7, 771:11, 771:22, 772:14, 772:21, 772:22, 773:10, 773:13, 773:21, 774:5, 774:8, 774:14, 774:22, 775:4, 775:10, 775:11, 775:13, 775:14, 776:9, 777:18, 778:2, 779:1, 779:7, 779:22, 780:8, 780:14, 780:15, 780:21, 780:24, 781:1, 781:8, 781:10, 782:5, 782:12, 783:3, 783:5, 783:14, 783:18, 783:19, 784:3, 784:5, 784:6, 784:12, 784:16, 784:21, 785:7, 785:10, 785:17, 785:23, 786:2, 786:8,	786:10, 786:18, 788:9, 788:12, 789:3, 789:7, 789:18, 789:19, 789:24, 790:5, 790:14, 790:21, 790:23, 791:4, 791:10, 791:24, 792:15, 792:17, 793:3, 793:4, 793:6, 793:8, 793:13, 793:16, 793:24, 794:11, 794:23, 795:1, 795:11, 795:18, 796:13, 796:16, 796:17, 796:20, 797:2, 797:3, 797:6, 798:1, 798:8, 798:18, 800:2, 800:4, 800:9, 801:6, 801:13, 803:1, 803:5, 803:14, 804:8, 804:19, 804:20, 805:5, 805:9, 805:24, 806:2, 806:18, 806:23, 806:24, 807:4, 807:6, 807:7, 807:8, 807:11, 807:12, 807:16, 807:18, 808:17, 809:7, 809:8, 811:5, 813:20, 814:16, 815:12, 815:22, 816:8, 817:21, 818:15, 818:18, 818:20, 819:4, 819:8, 819:11, 820:18, 821:3, 821:12, 821:13, 821:16, 821:18, 822:1, 822:2, 822:3, 822:10, 822:13, 822:22, 823:9, 824:1, 824:8, 824:17, 824:20, 824:23, 825:2, 825:5, 825:6, 825:9, 825:14, 825:17, 826:3, 826:7, 826:9, 826:19, 826:21, 826:22, 827:17, 827:21, 827:24, 828:4, 829:9, 830:11, 830:13, 831:8, 831:10, 831:23, 831:24, 832:10, 832:13, 832:14, 832:15, 832:20, 832:21, 833:7, 833:24, 834:9, 834:24, 835:3, 835:20, 835:22,	836:2, 836:3, 836:23, 837:2, 837:3, 837:5, 837:7, 837:9, 837:14, 837:16, 837:21, 838:20, 839:2, 839:14, 839:23, 840:2, 840:7, 840:8, 840:19, 841:3, 841:6, 841:11, 841:20, 841:24, 842:4, 842:22, 843:3, 843:10, 843:13, 843:19, 843:20, 843:22, 845:13, 845:20, 846:19, 846:21, 847:2, 847:3, 847:5, 847:7, 847:9, 847:11, 847:17, 847:18, 848:6, 848:11, 848:18, 848:24, 849:7, 849:15, 849:18, 850:14, 850:23, 850:24, 851:11, 851:14, 851:17, 851:19, 851:21, 852:21, 853:7, 853:9, 853:12, 854:5, 854:21, 855:3 In [58] - 655:19, 658:1, 673:7, 675:7, 677:22, 678:11, 680:7, 684:1, 696:13, 699:10, 699:13, 701:17, 703:16, 703:19, 711:18, 711:24, 712:1, 714:20, 716:24, 717:15, 718:18, 722:8, 725:11, 731:16, 734:9, 739:14, 754:6, 755:11, 759:23, 761:5, 762:23, 762:24, 767:14, 770:21, 771:2, 774:2, 774:20, 777:21, 780:21, 785:15, 787:17, 790:5, 795:5, 797:6, 799:4, 799:10, 800:9, 800:20, 803:7, 805:1, 806:3, 806:17, 808:22, 816:9, 823:3, 827:18, 851:1 in-house [1] - 836:23 in-laws [2] - 827:17, 834:9 inability [2] - 745:11,
---	--	--	---	---

<p>796:9</p> <p><b>inaccessible</b> [3] - 669:2, 672:23, 685:3</p> <p><b>inbound</b> [2] - 787:23, 798:6</p> <p><b>include</b> [10] - 656:21, 684:17, 759:12, 759:20, 763:8, 776:3, 776:5, 799:2, 804:3, 852:2</p> <p><b>included</b> [13] - 755:14, 762:5, 763:13, 765:24, 766:2, 781:10, 783:23, 784:3, 804:5, 830:13, 842:22, 844:16, 852:24</p> <p><b>includes</b> [1] - 762:14</p> <p><b>Including</b> [1] - 778:10</p> <p><b>including</b> [2] - 656:5, 799:3</p> <p><b>incoming</b> [3] - 736:5, 787:19, 788:21</p> <p><b>incompetent</b> [1] - 844:22</p> <p><b>incorporate</b> [1] - 818:14</p> <p><b>incorporation</b> [3] - 854:15, 854:17, 855:1</p> <p><b>increase</b> [3] - 692:10, 702:12, 703:20</p> <p><b>increased</b> [3] - 692:14, 718:20, 797:13</p> <p><b>increases</b> [1] - 790:10</p> <p><b>increasingly</b> [2] - 733:3, 797:10</p> <p><b>independent</b> [1] - 829:18</p> <p><b>independently</b> [1] - 646:12</p> <p><b>indicate</b> [3] - 651:6, 794:7, 817:24</p> <p><b>indicated</b> [9] - 670:4, 692:23, 744:4, 767:13, 787:18, 807:20, 840:9, 843:2, 854:13</p> <p><b>indicates</b> [3] - 769:16, 781:5, 807:18</p> <p><b>indicating</b> [1] - 760:9</p> <p><b>indicative</b> [3] - 791:20, 791:23, 792:15</p>	<p><b>individual</b> [9] - 721:19, 731:12, 735:20, 736:7, 739:5, 781:17, 785:23, 829:19, 837:13</p> <p><b>individually</b> [2] - 659:17, 837:2</p> <p><b>individuals</b> [7] - 675:4, 734:17, 735:21, 736:8, 828:21, 829:12, 837:3</p> <p><b>industries</b> [1] - 783:8</p> <p><b>inform</b> [1] - 835:13</p> <p><b>information</b> [101] - 648:7, 653:10, 653:11, 666:21, 667:2, 683:6, 684:12, 685:5, 686:10, 689:23, 691:23, 693:6, 693:7, 693:23, 698:2, 706:10, 710:14, 723:2, 724:13, 724:19, 725:12, 726:5, 726:10, 726:13, 726:17, 726:18, 726:19, 726:20, 727:14, 727:15, 728:9, 728:12, 728:22, 729:1, 730:16, 733:4, 734:7, 735:2, 737:7, 738:1, 738:18, 738:23, 739:4, 739:10, 739:15, 739:22, 739:23, 740:8, 740:18, 741:2, 741:3, 741:5, 741:6, 741:8, 741:9, 742:15, 742:17, 744:18, 745:5, 745:8, 745:10, 745:12, 745:14, 745:22, 745:24, 746:3, 746:11, 753:17, 753:19, 753:20, 753:23, 760:22, 770:9, 775:23, 777:1, 777:23, 778:1, 778:6, 778:9, 778:18, 784:23, 788:23, 796:9, 796:20, 798:2, 799:20, 801:17, 802:3, 802:4, 806:8, 815:18, 825:14, 837:11, 838:17, 846:1, 848:3, 854:21</p> <p><b>informative</b> [2] -</p>	<p>823:14, 839:1</p> <p><b>informed</b> [7] - 721:2, 721:6, 722:19, 776:21, 827:12, 827:13, 828:6</p> <p><b>Infrastructure</b> [1] - 749:1</p> <p><b>inherently</b> [1] - 717:1</p> <p><b>initial</b> [18] - 658:21, 681:15, 691:19, 692:8, 694:1, 697:9, 697:19, 700:15, 700:19, 702:9, 709:22, 709:23, 731:16, 739:13, 833:19, 834:2, 843:18, 851:1</p> <p><b>initially</b> [2] - 691:13, 692:23</p> <p><b>injury</b> [1] - 815:2</p> <p><b>input</b> [4] - 671:14, 808:17, 814:9, 852:21</p> <p><b>Inquiries</b> [2] - 803:10, 803:11</p> <p><b>inquiries</b> [13] - 730:15, 732:23, 775:24, 776:1, 776:2, 776:10, 800:10, 804:7, 804:21, 805:24, 832:15</p> <p><b>inquiry</b> [13] - 776:7, 803:12, 803:23, 804:1, 804:12, 804:13, 817:12, 832:23, 834:4, 835:15, 839:7, 848:18</p> <p><b>insert</b> [6] - 759:13, 759:24, 760:14, 761:18, 761:21, 761:23</p> <p><b>inserted</b> [2] - 762:2, 762:15</p> <p><b>inserts</b> [1] - 759:24</p> <p><b>inside</b> [2] - 663:14, 772:20</p> <p><b>inspection</b> [1] - 676:21</p> <p><b>inspections</b> [1] - 680:6</p> <p><b>installation</b> [1] - 749:6</p> <p><b>installed</b> [1] - 749:4</p> <p><b>instance</b> [1] - 718:16</p> <p><b>instead</b> [7] - 649:13, 672:19, 680:8, 680:10, 680:23, 707:7, 749:14</p>	<p><b>insulators</b> [1] - 679:17</p> <p><b>insult</b> [1] - 815:2</p> <p><b>intended</b> [1] - 837:15</p> <p><b>intent</b> [1] - 818:14</p> <p><b>interchange</b> [1] - 739:9</p> <p><b>interest</b> [2] - 786:9, 832:24</p> <p><b>interest-free</b> [1] - 786:9</p> <p><b>interested</b> [4] - 749:16, 761:2, 836:2, 842:4</p> <p><b>interfaced</b> [1] - 667:6</p> <p><b>intermediary</b> [1] - 845:4</p> <p><b>internal</b> [1] - 685:10</p> <p><b>internally</b> [3] - 674:12, 743:18, 817:7</p> <p><b>interpreting</b> [1] - 718:12</p> <p><b>interrelated</b> [1] - 843:10</p> <p><b>interrogatory</b> [3] - 820:19, 820:20, 820:23</p> <p><b>interrupt</b> [2] - 741:12, 760:13</p> <p><b>interval</b> [1] - 754:2</p> <p><b>intervention</b> [3] - 751:9, 755:8, 755:15</p> <p><b>interview</b> [6] - 830:6, 830:11, 837:12, 839:21, 841:2, 841:8</p> <p><b>interviewed</b> [1] - 836:24</p> <p><b>interviews</b> [7] - 796:13, 829:24, 830:2, 830:5, 836:22, 838:1, 840:8</p> <p><b>into</b> [57] - 642:7, 645:9, 645:11, 645:23, 655:5, 664:6, 665:12, 674:1, 680:3, 683:1, 684:13, 693:1, 693:14, 697:16, 703:10, 706:15, 712:5, 712:9, 713:17, 713:23, 714:1, 715:2, 715:14, 715:18, 716:20, 717:1, 717:10, 723:16, 723:23, 724:16, 725:4, 725:24, 733:20, 734:10, 734:23, 736:21,</p>	<p>743:24, 751:24, 754:8, 760:14, 762:15, 777:11, 778:9, 787:2, 788:23, 789:5, 791:21, 792:19, 801:18, 802:1, 803:22, 826:5, 827:3, 844:11, 846:17, 848:18, 848:20</p> <p><b>introduce</b> [2] - 687:19, 819:15</p> <p><b>introduction</b> [1] - 850:24</p> <p><b>inundated</b> [1] - 650:23</p> <p><b>investigate</b> [1] - 794:16</p> <p><b>investigation</b> [6] - 642:5, 818:16, 832:19, 833:3, 834:3, 835:17</p> <p><b>investigations</b> [2] - 833:20, 841:8</p> <p><b>involve</b> [1] - 744:15</p> <p><b>involved</b> [19] - 650:20, 651:23, 652:6, 671:15, 727:22, 732:16, 732:17, 734:18, 735:7, 736:4, 739:8, 794:22, 832:10, 832:13, 832:14, 832:22, 833:24, 836:18, 839:23</p> <p><b>involvement</b> [1] - 853:5</p> <p><b>Is</b> [35] - 643:13, 647:11, 656:22, 657:21, 662:20, 666:5, 667:14, 671:11, 678:3, 686:8, 687:9, 697:6, 712:24, 714:15, 721:22, 752:24, 760:21, 764:8, 770:6, 771:20, 779:1, 801:6, 801:8, 808:12, 813:6, 814:5, 814:7, 815:16, 817:3, 818:16, 831:10, 831:20, 836:15, 840:11, 847:1</p> <p><b>is</b> [274] - 642:3, 642:12, 642:14, 642:23, 643:1, 643:4, 643:5, 644:19, 645:8, 645:16, 645:24, 646:20, 648:2,</p>
---	---	---	---	---

648:10, 648:23, 651:13, 651:14, 651:23, 654:5, 654:12, 654:22, 655:10, 655:11, 655:13, 655:18, 658:1, 658:16, 658:24, 661:5, 662:13, 662:24, 663:1, 663:10, 665:20, 666:2, 667:5, 669:6, 670:18, 670:21, 670:23, 671:6, 671:8, 671:13, 671:21, 673:6, 673:16, 674:2, 674:7, 674:17, 675:14, 676:8, 676:11, 676:23, 677:23, 679:1, 679:5, 679:10, 679:18, 680:1, 680:22, 681:10, 681:11, 681:17, 681:19, 681:21, 682:13, 682:22, 683:1, 684:14, 685:24, 686:3, 686:9, 686:10, 687:8, 687:11, 687:12, 687:15, 688:6, 688:7, 688:9, 688:22, 688:24, 693:4, 693:11, 694:6, 694:12, 694:19, 696:6, 697:11, 697:23, 699:11, 702:8, 703:10, 707:22, 709:14, 709:15, 709:16, 712:8, 712:24, 714:5, 715:14, 715:24, 716:21, 716:22, 717:3, 719:2, 719:9, 720:8, 720:18, 722:7, 724:8, 724:23, 725:13, 725:15, 725:23, 726:3, 726:10, 726:16, 727:9, 729:24, 731:21, 731:22, 731:23, 733:1, 733:11, 736:19, 741:1, 741:7, 741:8, 741:13, 741:16, 741:24, 743:10, 744:11, 744:15, 744:21, 745:21, 745:23, 746:9,	746:22, 748:13, 748:15, 748:18, 749:6, 749:8, 751:8, 751:10, 752:3, 753:3, 753:16, 753:20, 754:13, 757:13, 758:3, 758:22, 759:5, 761:17, 761:18, 762:21, 763:4, 763:5, 763:9, 763:10, 764:2, 764:3, 764:6, 764:7, 764:17, 765:14, 767:4, 767:15, 767:23, 768:12, 768:16, 768:24, 770:13, 772:18, 774:8, 775:3, 778:7, 778:22, 779:2, 779:4, 779:15, 780:13, 782:8, 783:12, 784:19, 785:11, 786:14, 787:1, 788:16, 789:11, 789:20, 789:21, 790:6, 795:1, 795:15, 795:18, 795:19, 795:22, 801:10, 801:14, 801:23, 802:2, 804:12, 806:11, 807:16, 811:11, 812:20, 814:8, 814:21, 815:17, 817:23, 819:5, 819:19, 820:2, 820:3, 820:10, 820:12, 820:14, 820:15, 820:16, 821:8, 821:9, 821:11, 822:1, 822:17, 824:8, 824:9, 826:5, 826:10, 826:15, 827:2, 827:12, 827:13, 828:6, 828:7, 828:18, 829:3, 829:15, 829:19, 830:16, 830:18, 831:2, 834:15, 834:20, 835:3, 839:17, 839:18, 840:14, 842:10, 842:14, 845:17, 847:18, 848:2, 850:18, 850:19, 851:8, 851:9, 851:10, 851:13, 852:6, 852:16, 852:20, 852:24, 854:21, 855:1, 855:11 <b>isn't</b> [1] - 824:17	<b>issuance</b> [2] - 732:19 <b>issue</b> [17] - 690:16, 712:2, 712:3, 752:11, 753:16, 759:23, 777:21, 794:24, 803:19, 806:5, 819:7, 823:16, 826:5, 827:3, 844:18, 849:6 <b>issued</b> [11] - 670:8, 761:9, 762:14, 786:17, 786:22, 805:20, 807:18, 815:21, 832:18, 832:20, 833:15 <b>issues</b> [7] - 690:18, 693:17, 827:4, 828:3, 843:9, 851:15, 851:19 <b>issuing</b> [1] - 846:20 <b>it</b> [70] - 645:18, 652:11, 655:11, 656:21, 661:5, 662:14, 662:15, 662:24, 663:15, 670:7, 670:12, 671:13, 680:15, 684:6, 686:9, 690:2, 690:11, 692:15, 693:13, 699:9, 700:23, 704:16, 706:16, 706:23, 707:2, 710:21, 713:18, 713:24, 714:6, 714:7, 717:19, 725:7, 725:8, 729:23, 738:17, 745:14, 745:21, 747:19, 750:15, 751:10, 754:14, 757:18, 763:5, 764:18, 764:22, 766:8, 768:13, 768:14, 769:1, 779:18, 782:2, 783:3, 786:14, 789:4, 801:10, 806:1, 809:4, 809:7, 811:10, 812:8, 816:15, 818:21, 820:10, 831:2, 834:8, 836:11, 842:5, 852:16, 853:22 <b>it</b> [350] - 644:24, 645:5, 645:8, 646:2, 646:8, 647:10, 648:6, 648:8, 651:1, 651:4, 651:5, 651:22, 652:5, 656:20, 658:12, 658:13, 658:21, 658:24, 659:11,	660:12, 660:13, 662:13, 662:15, 663:2, 663:8, 663:10, 666:12, 667:11, 672:10, 672:14, 673:12, 674:12, 677:13, 677:15, 677:23, 677:24, 678:3, 678:4, 679:5, 679:15, 680:5, 681:14, 682:11, 682:13, 684:6, 684:16, 686:10, 686:11, 687:2, 689:5, 691:7, 691:14, 692:10, 692:14, 693:12, 693:23, 694:2, 694:6, 696:1, 696:5, 696:12, 696:20, 697:10, 697:11, 700:5, 700:16, 701:13, 702:23, 704:16, 705:6, 706:5, 707:3, 708:9, 708:14, 709:2, 709:16, 709:19, 709:20, 710:4, 710:17, 710:20, 710:22, 711:16, 711:17, 712:8, 712:11, 713:23, 714:20, 715:21, 716:8, 717:1, 717:3, 717:18, 718:7, 718:21, 719:3, 719:5, 719:13, 722:6, 722:7, 724:9, 725:19, 727:11, 728:10, 729:2, 729:10, 729:23, 730:3, 730:18, 733:3, 733:11, 735:12, 736:1, 736:17, 737:4, 738:5, 738:13, 738:14, 738:16, 738:21, 739:5, 739:11, 739:12, 740:10, 740:21, 740:23, 741:16, 741:20, 741:24, 742:13, 742:22, 742:23, 743:14, 745:9, 746:5, 746:17, 746:20, 747:3, 747:5, 747:6, 747:15, 747:16, 747:19, 747:20, 749:22, 750:1, 750:12,	750:15, 750:20, 750:22, 750:23, 750:24, 751:2, 751:17, 752:5, 753:4, 753:7, 753:8, 753:13, 754:3, 755:6, 755:10, 755:24, 756:20, 756:21, 756:24, 757:24, 758:1, 758:8, 758:13, 759:8, 760:8, 760:20, 760:22, 760:24, 761:8, 761:9, 761:18, 761:22, 761:23, 762:5, 762:21, 763:3, 763:12, 763:19, 764:10, 764:12, 764:16, 764:21, 765:3, 766:1, 766:4, 766:15, 767:17, 767:18, 769:12, 771:2, 771:24, 773:11, 773:13, 773:14, 774:21, 774:22, 775:5, 775:10, 775:11, 775:17, 775:18, 777:4, 778:6, 778:20, 779:2, 779:3, 779:5, 779:20, 779:22, 780:12, 781:2, 781:13, 781:16, 782:4, 782:18, 783:5, 784:16, 784:18, 784:22, 786:6, 786:10, 787:17, 787:18, 789:14, 789:15, 789:17, 791:15, 792:1, 792:9, 792:24, 793:21, 794:12, 794:16, 794:21, 795:4, 795:11, 795:23, 796:12, 797:1, 799:23, 800:4, 800:7, 801:11, 801:18, 801:19, 801:23, 802:18, 802:22, 803:4, 804:16, 804:18, 805:2, 805:19, 806:7, 806:18, 807:20, 808:15, 808:20, 808:23, 809:5, 809:17, 812:2, 813:18, 813:20, 815:23, 817:3, 817:23, 820:14,
--	---	---	--	---



822:4, 822:17, 823:13, 823:15, 823:19, 823:20, 823:24, 824:1, 824:5, 824:6, 824:9, 824:17, 825:1, 826:6, 831:2, 831:3, 831:13, 833:9, 833:21, 834:9, 834:20, 836:13, 836:18, 837:16, 839:16, 840:2, 840:10, 840:15, 840:18, 841:4, 842:2, 842:6, 842:11, 842:19, 843:6, 843:7, 843:12, 844:7, 845:2, 846:4, 846:21, 847:9, 847:18, 848:15, 849:19, 850:3, 850:18, 851:2, 853:6, 853:15, 853:16, 853:20, 853:21, 853:23, 854:14, 855:1 <b>It's</b> [25] - 652:6, 655:11, 660:3, 661:13, 666:7, 679:17, 686:5, 686:12, 697:1, 715:13, 715:17, 752:18, 754:16, 757:4, 761:20, 761:21, 763:6, 774:12, 798:18, 802:3, 809:21, 820:13, 846:23, 851:14 <b>it's</b> [55] - 645:20, 651:7, 651:21, 657:23, 661:2, 661:13, 663:17, 666:24, 667:7, 673:20, 674:18, 679:14, 679:17, 681:11, 686:14, 700:3, 709:15, 709:16, 713:18, 718:23, 719:11, 726:16, 730:5, 731:13, 733:15, 733:22, 734:5, 737:5, 743:24, 744:5, 744:6, 745:24, 746:1, 752:10, 753:2, 753:5, 753:6, 753:10, 757:23, 759:19, 767:13, 773:13, 792:8, 800:3, 817:20, 822:20, 825:22,	825:23, 826:2, 827:1, 831:7, 845:13, 845:15, 846:18, 852:14 <b>item</b> [1] - 673:15 <b>its</b> [22] - 642:6, 647:11, 675:19, 676:3, 676:12, 742:22, 750:13, 752:19, 759:14, 762:15, 780:7, 782:22, 786:9, 819:13, 825:21, 825:23, 826:12, 828:8, 830:17, 835:22, 850:2 <b>Its</b> [1] - 673:8 <b>itself</b> [8] - 679:6, 712:7, 716:22, 761:19, 761:24, 762:3, 762:5, 784:15 <b>IVR</b> [1] - 789:6  <b>J</b>  <b>J</b> [1] - 641:2 <b>James</b> [2] - 641:13, 643:4 <b>james.stetson@</b> <b>state.ma.us</b> [1] - 641:15 <b>January</b> [39] - 751:24, 752:8, 756:6, 756:18, 756:24, 757:17, 757:22, 758:19, 758:22, 759:13, 759:16, 760:5, 760:12, 760:18, 761:5, 763:4, 763:7, 763:24, 764:24, 766:1, 767:9, 768:5, 770:10, 771:2, 773:20, 780:16, 784:13, 804:9, 806:11, 806:23, 806:24, 807:5, 807:7, 807:11, 807:13, 809:8, 809:12, 823:10, 837:15 <b>Joan</b> [3] - 640:10, 642:12, 643:6 <b>job</b> [11] - 662:14, 709:17, 725:23, 731:5, 731:11, 731:23, 733:14, 742:4, 797:12, 809:23, 849:5 <b>jobs</b> [1] - 691:1	<b>Joe</b> [1] - 676:19 <b>John</b> [1] - 654:5 <b>join</b> [1] - 841:20 <b>Joselyn</b> [1] - 640:19 <b>Joslyn</b> [1] - 748:15 <b>journal</b> [3] - 783:22, 784:2, 784:8 <b>Jr</b> [5] - 641:3, 643:23, 644:1, 819:20, 820:11 <b>JR</b> [8] - 644:7, 654:14, 689:15, 819:21, 856:4, 856:10, 857:3, 858:3 <b>judgment</b> [1] - 806:6 <b>July</b> [1] - 788:14 <b>jump</b> [4] - 673:14, 677:11, 724:3, 748:9 <b>just</b> [131] - 645:7, 645:24, 647:23, 650:6, 651:1, 651:2, 655:9, 656:18, 657:11, 660:14, 662:18, 665:13, 671:16, 672:10, 672:14, 673:4, 677:11, 678:4, 679:1, 679:5, 682:9, 684:7, 684:24, 685:22, 686:5, 686:10, 687:1, 690:15, 693:2, 693:7, 693:17, 693:22, 694:6, 695:5, 696:2, 698:9, 704:23, 711:24, 712:6, 712:7, 713:20, 716:24, 717:9, 717:15, 717:21, 718:4, 718:6, 718:12, 719:16, 721:5, 721:9, 722:8, 724:3, 724:7, 727:5, 727:11, 728:24, 729:8, 730:21, 732:10, 734:2, 735:24, 736:2, 736:3, 737:3, 737:4, 737:8, 738:2, 740:23, 744:20, 744:22, 745:21, 747:19, 752:22, 754:10, 755:6, 757:2, 758:24, 760:24, 761:5, 762:7, 762:13, 763:12, 769:9, 770:10, 771:6, 774:7, 774:8, 775:18, 777:3, 777:4, 778:20, 780:11, 784:13, 787:23, 787:24,	788:9, 788:10, 790:12, 792:7, 795:10, 797:16, 799:6, 800:7, 802:6, 802:9, 803:21, 804:9, 804:11, 804:18, 805:17, 808:17, 813:2, 813:18, 817:23, 818:19, 821:8, 821:18, 822:19, 835:6, 835:10, 835:22, 835:24, 839:11, 840:6, 840:18, 842:4, 848:13 <b>Just</b> [15] - 652:7, 663:19, 668:23, 674:6, 688:11, 691:19, 705:4, 748:21, 749:16, 775:4, 794:4, 804:24, 805:22, 816:22, 838:16  <b>K</b>  <b>keep</b> [5] - 657:12, 742:17, 808:22, 817:5, 844:7 <b>KEMA</b> [1] - 834:21 <b>Kevin</b> [3] - 687:22, 688:22, 700:9 <b>KEVIN</b> [4] - 687:24, 689:18, 857:1, 857:6 <b>key</b> [4] - 674:20, 729:16, 733:16, 832:4 <b>kicks</b> [1] - 751:6 <b>kilowatthours</b> [3] - 753:16, 802:7, 802:8 <b>kind</b> [21] - 698:5, 698:6, 710:11, 732:5, 741:3, 759:12, 759:13, 759:14, 761:2, 768:2, 778:22, 785:1, 785:3, 792:13, 797:8, 804:21, 814:9, 826:8, 839:17, 842:8, 842:11 <b>Knew</b> [1] - 713:11 <b>knew</b> [26] - 644:23, 666:15, 671:4, 672:6, 680:18, 682:11, 692:2, 692:4, 693:16, 695:16, 696:3, 698:9, 698:11, 698:14, 705:11, 707:5, 713:10, 725:21, 725:22, 740:15,	742:17, 742:21, 835:22, 848:14 <b>know</b> [163] - 646:12, 648:6, 651:22, 655:23, 658:11, 660:14, 663:1, 663:2, 665:10, 666:24, 667:15, 668:22, 671:20, 672:23, 674:12, 674:16, 677:3, 677:17, 678:11, 680:13, 682:22, 682:23, 692:11, 693:9, 694:4, 694:20, 694:24, 696:3, 696:24, 702:7, 706:24, 708:9, 709:8, 713:17, 715:10, 716:9, 716:10, 716:12, 716:18, 716:19, 716:23, 717:5, 719:2, 719:7, 719:14, 721:12, 722:18, 722:21, 722:23, 723:14, 725:10, 725:17, 727:20, 728:6, 729:2, 732:4, 732:5, 732:6, 732:9, 732:20, 733:1, 733:3, 733:7, 733:18, 733:21, 735:12, 738:24, 739:1, 739:24, 740:5, 742:10, 743:16, 743:17, 744:2, 744:3, 744:4, 744:5, 744:6, 745:9, 749:16, 757:13, 758:23, 759:4, 759:7, 762:1, 765:15, 765:21, 765:22, 766:15, 767:21, 770:19, 772:19, 772:24, 778:3, 780:13, 783:17, 784:20, 784:23, 785:23, 787:5, 793:12, 793:19, 793:21, 795:17, 797:4, 798:13, 799:18, 800:1, 800:14, 801:3, 803:2, 804:7, 806:4, 806:13, 807:2, 807:21, 808:16, 808:19, 812:1, 812:3, 812:17, 813:16, 814:18, 814:19, 815:13, 816:10,
--	---	--	---	--

<p>816:12, 819:4, 824:16, 825:1, 826:6, 829:16, 830:24, 831:12, 831:14, 832:3, 833:8, 834:15, 835:4, 837:8, 838:11, 840:16, 840:17, 843:9, 843:22, 843:24, 844:1, 844:4, 844:17, 844:21, 849:2, 849:9, 850:21, 851:10, 851:14, 851:15, 851:17, 852:2, 852:12, 852:23 <b>knowing</b> [1] - 756:8 <b>knowledge</b> [1] - 813:8 <b>known</b> [1] - 725:23 <b>knows</b> [1] - 846:22 <b>Koepnick</b> [2] - 640:9, 642:15 <b>kV</b> [5] - 647:7, 647:8, 657:18, 657:19, 657:21 <b>kV's</b> [1] - 669:5</p>	<p>790:1, 791:4, 792:24, 793:15, 793:20, 794:4, 794:9, 795:3, 797:23, 798:22, 799:9, 799:18, 800:6, 800:13, 801:10, 801:16, 802:21, 803:13, 804:15, 805:6, 805:11, 805:13, 805:17, 806:12, 806:15, 806:21, 807:2, 807:23, 808:14, 809:4, 809:7, 809:15, 813:7, 813:11, 813:15, 813:17, 814:10, 814:17, 814:19, 815:3, 815:7, 815:15, 815:17, 815:19, 816:4, 816:7, 816:15, 816:19, 817:10, 817:18, 817:21, 818:3, 856:5, 856:11, 857:4 <b>Lambert</b> [16] - 644:5, 736:13, 747:3, 749:11, 758:21, 762:20, 763:2, 769:24, 772:10, 772:24, 787:14, 799:8, 806:4, 813:4, 816:6, 817:5 <b>land</b> [1] - 663:19 <b>Lane</b> [2] - 641:9, 688:24 <b>language</b> [9] - 759:18, 759:19, 760:3, 760:6, 764:21, 765:23, 767:3, 824:6, 824:8 <b>large</b> [4] - 674:19, 683:24, 685:14, 756:4 <b>largely</b> [1] - 808:4 <b>last</b> [11] - 677:3, 702:16, 763:19, 766:7, 766:16, 786:5, 806:17, 808:16, 827:24, 828:2, 854:17 <b>late</b> [6] - 700:21, 700:23, 703:24, 704:21, 705:7, 837:16 <b>later</b> [5] - 699:13, 700:7, 707:10, 735:17, 778:2 <b>Laughter</b> [1] - 721:8 <b>Laura</b> [2] - 640:9, 642:15 <b>law</b> [1] - 642:24</p>	<p><b>Lawrence</b> [1] - 820:3 <b>Laws</b> [1] - 642:10 <b>laws</b> [2] - 827:17, 834:9 <b>lay</b> [1] - 663:19 <b>lead</b> [1] - 729:24 <b>leading</b> [4] - 656:14, 659:6, 659:9, 824:22 <b>leads</b> [2] - 729:23, 741:14 <b>learn</b> [3] - 828:2, 831:13, 841:1 <b>learned</b> [12] - 702:20, 703:23, 728:17, 822:23, 823:17, 823:23, 825:19, 827:24, 831:12, 832:4, 838:18, 840:24 <b>learning</b> [2] - 828:6, 831:14 <b>least</b> [11] - 673:12, 673:21, 696:16, 725:14, 738:4, 751:12, 771:4, 815:1, 837:2, 843:7, 852:7 <b>leave</b> [2] - 699:7, 699:8 <b>LeBoeuf</b> [2] - 641:1, 643:1 <b>led</b> [4] - 758:12, 758:17, 759:8, 796:17 <b>left</b> [6] - 654:20, 699:12, 722:7, 832:21, 833:14, 845:1 <b>legislative</b> [1] - 727:13 <b>legislator</b> [1] - 824:3 <b>legislators</b> [1] - 727:12 <b>legitimate</b> [1] - 674:2 <b>length</b> [2] - 785:16, 790:10 <b>lengthy</b> [1] - 704:24 <b>less</b> [8] - 715:21, 718:24, 752:6, 756:15, 763:21, 846:1, 849:12 <b>lesson</b> [1] - 823:17 <b>lessons</b> [6] - 822:23, 823:23, 825:19, 827:24, 831:12, 832:4 <b>let</b> [6] - 708:3, 713:12, 730:21, 738:5, 749:16, 842:18 <b>Let</b> [9] - 668:4, 677:11, 678:3, 724:3, 738:2, 738:5, 740:14, 741:12, 847:15 <b>Let's</b> [14] - 650:6, 653:12, 658:13, 686:22, 687:3, 721:11, 731:2, 748:6, 762:12, 765:9, 818:5, 818:8, 853:24, 854:3 <b>let's</b> [4] - 656:14, 668:5, 720:1, 749:14 <b>LETOURNEAU</b> [85] - 643:23, 644:8, 648:5, 649:16, 649:20, 649:23, 650:2, 650:5, 650:22, 651:4, 651:10, 651:14, 652:15, 652:22, 653:1, 653:7, 654:15, 658:3, 661:6, 661:18, 662:21, 664:8, 665:8, 666:7, 666:12, 670:19, 670:23, 671:2, 671:13, 671:17, 671:20, 671:23, 677:20, 678:16, 679:8, 686:3, 686:9, 686:14, 686:18, 687:12, 689:16, 690:2, 691:12, 691:15, 691:18, 691:21, 691:24, 692:4, 692:11, 692:15, 694:1, 697:7, 697:21, 698:20, 699:3, 699:5, 702:9, 702:15, 703:3, 703:9, 703:17, 703:23, 705:6, 707:2, 707:21, 708:3, 710:21, 711:1, 711:6, 713:11, 713:16, 716:3, 720:7, 724:1, 724:14, 731:6, 731:11, 731:16, 732:4, 811:15, 811:19, 811:21, 856:5, 856:11, 857:4 <b>Letourneau</b> [10] - 643:23, 649:24, 664:2, 681:10, 682:6, 682:9, 687:10, 707:14, 734:22, 811:12 <b>letter</b> [4] - 761:6, 761:11, 854:17, 854:18 <b>letters</b> [1] - 854:22 <b>letting</b> [1] - 725:9 <b>level</b> [9] - 678:1, 679:9, 682:2, 729:6, 733:5, 735:20, 739:8, 758:13 <b>levels</b> [1] - 789:18 <b>Levitan</b> [3] - 829:15, 829:23 <b>liability</b> [2] - 782:22, 783:2 <b>Liberty</b> [2] - 641:9, 688:24 <b>life</b> [1] - 824:19 <b>light</b> [4] - 661:7, 677:22, 682:19, 848:6 <b>Light</b> [8] - 641:6, 641:11, 642:8, 642:22, 704:3, 704:4, 835:5, 835:8 <b>LIGHT</b> [1] - 640:8 <b>Like</b> [2] - 766:6, 777:3 <b>like</b> [51] - 643:11, 644:11, 645:20, 648:1, 653:18, 655:16, 656:18, 687:6, 687:17, 687:19, 696:1, 698:23, 707:2, 707:3, 707:4, 714:24, 733:6, 742:2, 747:24, 749:23, 754:3, 755:11, 756:9, 759:3, 763:24, 768:19, 769:1, 779:6, 779:12, 780:2, 782:7, 784:15, 792:3, 792:4, 792:14, 803:5, 807:21, 808:22, 809:23, 816:10, 818:12, 819:15, 821:7, 821:18, 822:19, 824:17, 824:19, 828:14, 846:6, 848:17 <b>likely</b> [4] - 794:12, 835:4, 835:5, 849:12 <b>Line</b> [1] - 851:1 <b>line</b> [33] - 645:19, 645:20, 645:21, 645:22, 647:2, 668:6, 668:23, 678:1, 700:17, 700:20, 700:21, 701:9, 701:24, 702:3, 711:16, 714:8, 714:18, 715:15, 717:11, 718:1, 746:24, 747:4, 747:8, 747:14, 789:1, 800:15, 836:18,</p>
---	---	--

837:12, 837:19,  
851:2, 851:7, 853:18  
**lines** [59] - 645:17,  
645:18, 645:20,  
645:23, 646:2,  
646:11, 646:12,  
646:15, 646:17,  
646:18, 646:19,  
646:23, 647:4,  
647:11, 647:16,  
647:18, 655:3, 668:9,  
668:13, 668:14,  
668:18, 669:5,  
674:23, 677:19,  
681:5, 683:5, 685:22,  
689:6, 695:22, 696:1,  
701:8, 709:4, 723:15,  
747:1, 747:12,  
747:15, 749:9,  
787:19, 787:20,  
787:22, 787:23,  
788:1, 788:2, 788:3,  
788:5, 788:7, 788:9,  
788:14, 788:15,  
788:21, 789:2,  
789:12, 791:22,  
792:16, 792:23, 796:7  
**list** [7] - 684:19,  
835:5, 843:24,  
847:20, 847:23, 853:8  
**listed** [1] - 806:18  
**listen** [1] - 797:18  
**listening** [3] -  
744:22, 838:11,  
838:22  
**lists** [1] - 684:7  
**little** [19] - 674:6,  
694:15, 699:13,  
720:23, 724:2,  
731:13, 732:14,  
742:9, 744:20,  
746:22, 748:1, 749:5,  
751:11, 754:11,  
775:14, 786:24,  
789:10, 842:11,  
851:17  
**live** [1] - 662:6  
**lived** [1] - 799:23  
**lives** [2] - 693:12,  
714:9  
**living** [2] - 710:12,  
849:4  
**LLC** [1] - 640:23  
**LLP** [1] - 641:1  
**load** [1] - 800:3  
**loan** [1] - 786:9  
**local** [3] - 720:24,

733:16, 793:3  
**localized** [1] - 694:6  
**located** [4] - 666:16,  
732:15, 736:9, 812:11  
**location** [7] - 661:21,  
683:16, 684:21,  
715:10, 726:20, 729:2  
**location-specific** [1]  
- 726:20  
**locations** [12] -  
647:3, 678:9, 680:14,  
680:17, 683:2, 685:1,  
690:10, 696:13,  
711:22, 728:21,  
734:20, 797:3  
**log** [1] - 736:21  
**logical** [1] - 847:11  
**logistics** [2] - 649:8,  
729:18  
**long** [6] - 661:19,  
709:15, 714:20,  
719:11, 828:17, 852:7  
**longer** [8] - 652:6,  
713:15, 713:21,  
714:24, 717:21,  
718:4, 758:22, 789:10  
**look** [35] - 658:12,  
669:23, 675:7,  
716:15, 716:17,  
720:2, 729:12,  
749:14, 750:6,  
750:19, 751:1, 751:3,  
754:2, 754:4, 754:24,  
755:18, 773:21,  
780:3, 784:22, 785:6,  
785:7, 795:19, 826:4,  
831:21, 834:17,  
835:16, 836:5,  
836:16, 840:14,  
845:11, 846:10,  
848:6, 848:20  
**looked** [13] - 693:2,  
694:8, 757:20,  
808:15, 833:23,  
834:9, 834:10, 835:2,  
835:23, 835:24,  
836:1, 840:10, 844:21  
**looking** [36] -  
666:22, 671:24,  
675:8, 676:6, 676:9,  
683:16, 690:10,  
694:3, 694:9, 697:18,  
699:1, 716:4, 726:13,  
726:17, 726:18,  
727:14, 727:15,  
745:6, 745:23, 746:3,  
750:20, 754:20,  
756:5, 761:17,

762:21, 774:2,  
789:19, 817:2, 828:1,  
831:7, 832:8, 836:20,  
838:16, 840:13,  
841:3, 845:14  
**Looking** [1] - 760:1  
**looks** [4] - 769:1,  
789:14, 789:15  
**loop** [2] - 646:23,  
647:2  
**lose** [6] - 646:1,  
646:7, 746:17,  
753:17, 753:19,  
753:23  
**losing** [1] - 844:12  
**loss** [1] - 758:11  
**lost** [10] - 694:12,  
705:12, 705:19,  
746:12, 746:16,  
746:24, 753:3,  
753:21, 758:5, 802:4  
**lot** [32] - 648:12,  
651:20, 668:2, 669:1,  
674:13, 679:16,  
682:12, 707:6,  
713:14, 715:24,  
758:5, 759:7, 797:12,  
800:18, 804:8,  
805:24, 826:13,  
827:5, 827:7, 827:8,  
827:22, 834:20,  
835:21, 840:20,  
845:22, 845:24,  
846:22, 848:2,  
849:24, 851:19,  
852:19, 853:16  
**lots** [2] - 728:15,  
759:1  
**low** [8] - 712:3,  
712:12, 712:16,  
713:9, 713:13, 753:9,  
756:20, 757:24  
**lower** [5] - 756:23,  
759:6, 765:1, 776:22,  
786:19  
**lunch** [3] - 747:22,  
748:5, 748:8  
**Lunenburg** [6] -  
735:23, 737:21,  
778:3, 798:15, 822:3,  
839:14

## M

**Madam** [3] - 655:15,  
656:17, 854:19  
**made** [42] - 671:3,  
671:9, 680:9, 680:12,

684:2, 690:19,  
691:16, 695:18,  
698:8, 701:4, 702:5,  
702:12, 702:19,  
703:6, 705:1, 705:16,  
705:18, 706:19,  
707:8, 713:9, 713:14,  
714:19, 736:15,  
739:6, 755:23, 758:9,  
761:3, 777:7, 779:3,  
780:6, 782:20,  
783:11, 797:11,  
805:2, 821:14,  
822:24, 823:16,  
826:11, 827:9, 831:9,  
835:1, 835:12  
**magic** [1] - 844:3  
**magnitude** [3] -  
711:9, 718:23, 730:7  
**mailing** [1] - 761:23  
**Main** [1] - 662:6  
**main** [7] - 668:9,  
683:5, 685:22, 696:1,  
844:12  
**Maine** [1] - 835:19  
**maintain** [1] - 728:5  
**maintained** [1] -  
679:18  
**maintenance** [1] -  
663:18  
**majority** [4] - 647:6,  
666:9, 695:1, 751:22  
**make** [40] - 645:13,  
647:9, 647:23, 653:8,  
655:22, 658:13,  
665:9, 673:22,  
676:16, 687:2, 698:4,  
713:13, 718:11,  
723:19, 730:14,  
734:18, 734:19,  
751:17, 752:8, 758:8,  
760:20, 770:10,  
774:7, 776:23, 781:3,  
782:21, 784:1, 784:7,  
784:11, 798:8,  
805:15, 808:7, 808:8,  
816:14, 818:2, 821:7,  
826:11, 827:8, 847:9,  
851:11  
**makes** [1] - 750:1  
**making** [12] - 693:4,  
694:17, 694:18,  
703:5, 705:12,  
705:22, 714:20,  
806:5, 806:6, 819:12,  
828:5, 834:3  
**manage** [2] - 662:11,  
743:18

**management** [8] -  
643:22, 734:13,  
734:14, 793:7, 830:4,  
830:21, 840:13, 841:3  
**Management** [4] -  
810:11, 811:14,  
811:17, 811:23  
**manager** [6] - 650:1,  
654:6, 664:3, 671:12,  
688:7, 729:19  
**managing** [1] - 662:4  
**manned** [1] - 655:11  
**manner** [3] - 730:24,  
737:7, 743:1  
**manual** [4] - 752:24,  
754:8, 755:14, 814:9  
**manually** [2] -  
785:12, 785:21  
**many** [54] - 651:5,  
657:7, 657:12, 658:8,  
660:8, 660:24, 661:3,  
661:23, 662:22,  
663:3, 669:20, 685:7,  
685:16, 702:7,  
707:24, 708:19,  
709:6, 709:24,  
710:16, 711:4,  
717:18, 723:14,  
727:10, 729:14,  
734:14, 736:11,  
737:24, 738:1,  
751:16, 759:2, 770:8,  
771:15, 774:15,  
774:22, 775:5,  
776:16, 789:20,  
789:21, 792:6,  
800:20, 804:6,  
806:13, 815:13,  
817:7, 817:8, 823:20,  
826:7, 827:18, 837:6,  
843:9, 844:1, 848:12  
**Many** [3] - 758:6,  
758:7  
**Map** [1] - 684:15  
**map** [4] - 684:17,  
685:6, 693:5, 720:9  
**mapped** [1] - 728:20  
**maps** [6] - 667:16,  
668:3, 683:20, 684:6,  
684:10  
**March** [6] - 813:20,  
815:24, 816:3,  
841:14, 841:19, 844:4  
**Mark** [9] - 644:5,  
651:10, 653:17,  
654:4, 667:5, 688:18,  
725:20, 787:14,

<p>837:17  <b>mark</b> [4] - 667:15,  686:22, 762:16,  779:12  <b>MARK</b> [12] - 644:8,  653:20, 654:15,  654:16, 689:16,  689:17, 856:4, 856:8,  856:10, 856:12,  857:3, 857:5  <b>Mark's</b> [1] - 725:23  <b>Marked</b> [1] - 686:20  <b>marked</b> [21] - 659:21,  659:23, 660:1,  664:17, 684:6,  684:10, 686:17,  687:8, 687:13,  687:15, 693:5,  762:18, 765:11,  767:12, 770:1, 774:5,  775:22, 779:19,  779:23, 820:6, 832:9  <b>MARKED</b> [1] - 858:7  <b>marked-up</b> [3] -  684:6, 684:10, 693:5  <b>marking</b> [1] - 779:20  <b>markings</b> [1] -  820:13  <b>marks</b> [1] - 706:13  <b>Martha</b> [2] - 643:4,  839:3  <b>Mass</b> [2] - 836:12,  836:17  <b>MASSACHUSETTS</b>  [1] - 640:2  <b>Massachusetts</b> [16] -  640:6, 640:23, 641:4,  641:15, 705:17,  747:9, 747:12,  810:11, 811:13,  811:16, 811:23,  820:4, 821:23, 822:1,  833:8, 836:5  <b>materials</b> [7] - 658:1,  673:11, 673:12,  683:8, 819:8, 819:10,  819:11  <b>math</b> [1] - 757:13  <b>matter</b> [10] - 642:4,  642:13, 642:16,  719:10, 719:11,  736:1, 786:5, 821:8,  824:4, 854:13  <b>matters</b> [1] - 841:11  <b>May</b> [3] - 640:6,  642:1, 855:12  <b>may</b> [52] - 646:14,</p>	<p>661:10, 661:11,  661:12, 661:15,  661:16, 661:19,  662:9, 670:1, 681:2,  693:5, 697:3, 717:11,  718:1, 718:20,  752:22, 754:14,  760:7, 761:7, 763:17,  770:18, 772:14,  772:15, 772:18,  773:7, 773:23,  776:13, 783:5, 786:3,  786:15, 786:21,  801:22, 802:24,  803:4, 804:19,  806:18, 817:19,  819:12, 837:21,  839:22, 843:21,  848:1, 852:7, 853:17,  854:14  <b>maybe</b> [18] - 645:1,  645:7, 663:1, 682:14,  716:18, 718:14,  730:4, 731:13,  753:15, 759:3,  771:21, 777:4, 788:2,  832:2, 837:2, 837:18,  842:1, 845:14  <b>Maybe</b> [8] - 645:10,  660:12, 663:6,  682:21, 702:22,  769:4, 769:19  <b>Mayor</b> [1] - 839:10  <b>McGuire</b> [1] - 688:9  <b>me</b> [81] - 642:14,  642:23, 643:5, 645:1,  655:9, 657:23, 668:4,  669:21, 677:11,  678:3, 682:7, 690:8,  697:4, 704:4, 704:8,  704:21, 706:3,  706:11, 706:19,  707:10, 707:11,  708:9, 713:12,  722:19, 724:3,  727:15, 729:23,  730:6, 730:21,  737:12, 737:16,  738:2, 738:5, 738:14,  738:17, 740:14,  741:12, 744:3,  749:16, 751:17,  754:12, 754:13,  757:4, 757:23, 761:1,  762:13, 763:24,  769:6, 773:14,  774:10, 783:6, 786:6,  787:20, 802:11,</p>	<p>803:9, 803:11,  803:17, 808:6,  808:13, 811:12,  814:4, 818:11, 822:4,  825:7, 825:10,  827:11, 829:8,  832:24, 835:13,  837:20, 839:1, 844:1,  844:21, 844:23,  847:15, 849:3,  853:17, 853:18  <b>Meabh</b> [2] - 641:2,  642:24  <b>mean</b> [17] - 651:22,  663:14, 680:9, 681:7,  692:12, 712:16,  717:17, 719:4, 737:5,  756:19, 786:10,  832:4, 841:16, 842:5,  846:6, 848:1, 851:8  <b>meaning</b> [2] - 646:7,  816:3  <b>means</b> [2] - 663:15,  738:8  <b>meant</b> [3] - 704:11,  828:19, 830:17  <b>measure</b> [2] -  715:13, 715:17  <b>measurement</b> [1] -  688:8  <b>mechanism</b> [2] -  787:7, 801:11  <b>mechanisms</b> [2] -  787:3, 787:4  <b>media</b> [5] - 731:17,  732:21, 732:23,  778:4, 796:13  <b>medical</b> [1] - 736:17  <b>meet</b> [3] - 746:11,  837:10, 837:24  <b>meeting</b> [9] - 722:1,  722:3, 722:17,  796:17, 823:9,  832:23, 838:6, 839:9,  849:22  <b>meetings</b> [3] -  810:14, 811:17,  812:22  <b>MEISSNER</b> [67] -  644:1, 644:7, 644:17,  645:16, 647:13,  647:17, 647:24,  648:11, 648:19,  649:1, 649:4, 649:7,  649:10, 649:17,  650:9, 650:15,  650:18, 651:19,</p>	<p>652:11, 654:14,  667:4, 670:1, 670:7,  670:12, 671:15,  674:12, 675:21,  680:7, 681:6, 681:16,  681:21, 683:10,  683:19, 684:15,  685:12, 689:15,  697:3, 699:10,  699:16, 700:9, 705:4,  706:23, 708:6,  708:15, 709:2,  710:20, 711:24,  715:13, 715:17,  716:18, 718:17,  719:1, 721:3, 744:20,  746:8, 749:2, 749:7,  749:10, 753:15,  800:4, 801:22,  802:14, 802:20,  809:13, 856:4,  856:10, 857:3  <b>Meissner</b> [4] - 644:1,  686:4, 754:3, 845:20  <b>MEMA</b> [7] - 810:14,  810:20, 811:3, 811:7,  812:4, 812:11, 812:21  <b>member</b> [2] - 812:2,  824:2  <b>members</b> [4] - 829:8,  830:1, 830:4, 837:13  <b>memories</b> [1] -  836:11  <b>memory</b> [2] - 699:9,  717:6  <b>men</b> [4] - 704:6,  704:17, 704:23, 707:7  <b>mentioned</b> [4] -  746:23, 785:2,  833:22, 836:22  <b>Merrick</b> [1] - 643:7  <b>message</b> [19] -  759:12, 760:5,  760:13, 760:14,  761:18, 761:19,  762:2, 762:4, 762:15,  762:23, 763:13,  763:22, 764:5,  764:15, 764:23,  765:24, 767:21,  805:12, 806:10  <b>messages</b> [4] -  759:24, 764:11,  764:13, 851:6  <b>met</b> [4] - 825:5,  825:23, 837:1, 837:5  <b>meter</b> [23] - 660:21,  660:23, 749:24,</p>	<p>750:1, 750:12,  750:13, 750:14,  751:13, 752:16,  754:1, 757:2, 769:10,  769:12, 770:5,  772:22, 773:15,  785:5, 800:11,  802:12, 802:17,  805:5, 808:12, 809:3  <b>meter-reading</b> [6] -  750:12, 750:14,  751:13, 769:10,  769:12, 770:5  <b>Metering</b> [1] - 748:24  <b>metering</b> [3] - 750:5,  771:21, 772:10  <b>meters</b> [11] - 749:9,  752:23, 770:17,  771:2, 772:15,  772:19, 772:21,  773:2, 773:3, 773:4,  775:10  <b>methodology</b> [1] -  719:14  <b>mid</b> [1] - 780:16  <b>mid-January</b> [1] -  780:16  <b>midday</b> [2] - 685:15,  699:12  <b>middle</b> [1] - 768:23  <b>might</b> [42] - 645:18,  647:22, 652:6, 667:4,  669:23, 674:15,  680:4, 701:8, 717:8,  717:20, 719:5, 722:7,  738:17, 739:5, 739:7,  740:21, 759:18,  761:8, 761:9, 779:9,  786:19, 786:24,  787:3, 796:23,  812:22, 822:6,  823:16, 831:3,  833:10, 833:11,  834:4, 835:8, 840:14,  844:9, 848:12,  848:14, 850:11,  853:7, 853:20, 853:22  <b>mile</b> [1] - 668:17  <b>mileage</b> [1] - 668:24  <b>million</b> [1] - 775:14  <b>mind</b> [3] - 754:15,  835:3, 849:18  <b>mine</b> [3] - 825:24,  827:2, 835:1  <b>mini</b> [1] - 836:19  <b>mini-tornados</b> [1] -  836:19</p>
--	---	---	--	--

<p><b>minute</b> [3] - 728:7, 754:18</p> <p><b>minute-by-minute</b> [1] - 728:7</p> <p><b>minutes</b> [2] - 693:13, 813:3</p> <p><b>mislead</b> [1] - 744:18</p> <p><b>missed</b> [2] - 746:16, 758:15</p> <p><b>missing</b> [2] - 713:17, 713:20</p> <p><b>misunderstanding</b> [1] - 737:5</p> <p><b>mixed</b> [1] - 717:21</p> <p><b>mobile</b> [1] - 707:12</p> <p><b>mode</b> [1] - 664:10</p> <p><b>model</b> [3] - 768:12, 768:18, 808:11</p> <p><b>module</b> [3] - 772:1, 772:2</p> <p><b>moment</b> [8] - 749:12, 754:21, 762:10, 769:19, 775:21, 793:23, 822:19, 854:1</p> <p><b>moments</b> [1] - 780:3</p> <p><b>Monday</b> [14] - 703:9, 707:22, 708:18, 708:19, 709:12, 710:8, 711:4, 711:8, 713:10, 713:11, 720:15, 735:14, 821:9</p> <p><b>Monday-Tuesday</b> [1] - 735:14</p> <p><b>money</b> [2] - 705:1, 845:5</p> <p><b>monitoring</b> [2] - 795:13, 795:17</p> <p><b>month</b> [22] - 751:5, 752:11, 753:4, 753:8, 753:10, 753:18, 754:5, 759:20, 763:20, 770:3, 773:16, 773:20, 775:8, 780:20, 780:21, 801:21, 804:9, 805:4, 805:8, 817:4, 852:7</p> <p><b>month-long</b> [1] - 852:7</p> <p><b>month-to-month</b> [1] - 773:16</p> <p><b>monthly</b> [6] - 753:20, 784:24, 810:14, 811:17, 812:22, 817:6</p> <p><b>months</b> [7] - 719:6, 719:19, 756:7, 771:17, 833:14,</p>	<p>833:15, 833:16</p> <p><b>moratorium</b> [3] - 790:8, 814:1, 814:2</p> <p><b>More</b> [1] - 647:13</p> <p><b>more</b> [66] - 648:15, 672:24, 673:17, 673:20, 674:16, 687:18, 699:11, 706:6, 710:14, 711:17, 718:20, 727:10, 733:8, 735:2, 735:19, 736:2, 736:19, 737:11, 738:12, 739:20, 745:10, 746:15, 746:18, 747:16, 749:15, 751:24, 752:11, 752:13, 758:9, 760:6, 762:20, 769:20, 771:15, 772:16, 772:20, 773:2, 778:19, 778:20, 780:10, 781:18, 781:19, 783:3, 783:7, 785:1, 785:10, 786:4, 787:1, 790:24, 794:15, 797:12, 804:6, 804:8, 804:10, 804:24, 813:3, 816:23, 817:19, 818:12, 822:6, 830:9, 843:14, 843:16, 846:22, 849:24, 852:9</p> <p><b>morning</b> [34] - 642:3, 644:16, 644:17, 644:18, 648:2, 648:20, 649:18, 652:13, 663:11, 663:20, 667:20, 678:8, 680:8, 683:1, 683:18, 684:5, 685:7, 685:9, 685:16, 685:18, 688:15, 690:4, 690:11, 692:19, 693:11, 699:1, 705:9, 706:16, 722:16, 733:10, 734:4, 741:14, 854:7</p> <p><b>most</b> [10] - 657:9, 676:10, 682:14, 714:8, 716:21, 770:4, 774:15, 787:14, 827:18, 827:21</p> <p><b>Mother's</b> [1] - 792:8</p> <p><b>motion</b> [3] - 642:6, 818:24, 819:2</p> <p><b>motions</b> [2] - 819:13</p>	<p><b>move</b> [3] - 664:5, 680:2, 708:13</p> <p><b>Move</b> [1] - 708:14</p> <p><b>moved</b> [2] - 691:4, 691:6</p> <p><b>moving</b> [1] - 659:13</p> <p><b>mpurcell@dl.com</b> [1] - 641:5</p> <p><b>MR</b> [87] - 642:21, 643:3, 644:15, 654:19, 655:15, 655:18, 655:19, 655:21, 656:1, 656:17, 658:6, 666:1, 668:15, 670:5, 670:10, 670:16, 678:24, 681:23, 685:24, 686:8, 686:12, 686:16, 689:21, 709:5, 711:7, 718:10, 720:22, 736:23, 746:4, 748:20, 763:2, 765:5, 765:14, 765:20, 765:23, 766:9, 766:21, 767:3, 767:7, 768:1, 768:4, 769:4, 769:9, 769:13, 769:15, 769:17, 769:23, 779:3, 779:15, 779:17, 780:1, 802:11, 802:17, 809:20, 812:5, 816:20, 817:2, 818:17, 819:1, 819:7, 819:17, 819:23, 828:9, 828:13, 828:23, 853:19, 854:19, 856:7, 856:13, 856:15, 856:17, 856:19, 856:21, 856:23, 857:7, 857:9, 857:11, 857:13, 857:15, 857:17, 857:18, 857:19, 857:21, 857:23, 858:1, 858:4, 858:5</p> <p><b>Mr</b> [101] - 649:3, 649:9, 649:24, 651:10, 653:17, 653:18, 653:22, 654:2, 654:12, 656:19, 658:4, 664:2, 681:10, 682:1, 682:6, 682:9, 685:24, 686:4, 687:10, 688:3, 688:19, 689:5,</p>	<p>692:22, 693:4, 693:11, 696:5, 701:1, 707:14, 709:21, 718:5, 721:5, 734:11, 734:22, 736:13, 736:24, 744:21, 747:3, 748:18, 749:11, 751:19, 754:3, 754:17, 758:21, 759:11, 762:20, 763:2, 765:12, 769:7, 769:8, 769:24, 772:10, 772:24, 777:16, 780:2, 788:8, 791:4, 794:11, 799:8, 805:20, 806:4, 809:19, 809:23, 811:12, 811:22, 812:5, 812:7, 812:10, 812:17, 813:4, 813:18, 813:19, 816:6, 817:1, 817:5, 818:16, 819:24, 820:5, 822:8, 822:12, 823:2, 825:4, 826:19, 828:11, 828:14, 828:24, 841:11, 841:19, 843:1, 846:9, 846:13, 850:6, 850:16, 850:22, 851:4, 853:4, 853:22, 854:5, 854:7, 854:18</p> <p><b>MS</b> [95] - 642:3, 643:10, 643:14, 643:15, 643:18, 644:10, 651:6, 653:12, 653:15, 653:21, 654:1, 654:12, 656:7, 656:10, 656:24, 657:2, 657:24, 660:3, 665:15, 668:11, 669:3, 669:23, 671:22, 680:24, 683:14, 686:20, 686:21, 686:22, 687:1, 687:3, 687:5, 687:15, 687:21, 688:2, 689:13, 699:17, 708:17, 709:10, 712:15, 719:23, 721:9, 734:1, 747:22, 748:6, 754:17, 754:21, 754:23, 759:10, 760:24, 762:7, 762:9, 762:12, 765:7, 765:9,</p>	<p>769:7, 769:18, 778:14, 779:1, 779:6, 779:12, 779:14, 779:20, 782:14, 787:12, 809:19, 813:1, 816:22, 818:5, 818:8, 818:22, 819:6, 819:14, 828:11, 852:17, 853:14, 853:24, 854:3, 854:24, 856:9, 856:14, 856:16, 856:18, 856:20, 856:22, 856:24, 857:2, 857:8, 857:10, 857:12, 857:14, 857:16, 857:20, 857:22, 857:24, 858:2</p> <p><b>Ms</b> [15] - 649:5, 653:5, 653:7, 653:8, 653:21, 654:21, 655:22, 656:4, 721:17, 721:21, 721:23, 723:9, 731:11, 731:15, 779:5</p> <p><b>much</b> [16] - 646:24, 672:23, 681:18, 695:24, 696:16, 709:14, 710:14, 714:4, 718:15, 744:3, 745:10, 766:7, 799:15, 804:12, 849:3, 849:5</p> <p><b>Mueller</b> [2] - 641:2, 642:23</p> <p><b>MUELLER</b> [12] - 642:21, 655:15, 655:19, 763:2, 779:17, 812:5, 819:1, 819:7, 819:17, 819:23, 828:9, 858:4</p> <p><b>multiple</b> [8] - 659:4, 659:14, 659:15, 660:10, 660:20, 662:1, 690:6</p> <p><b>multiplied</b> [1] - 808:20</p> <p><b>multiplying</b> [2] - 781:8, 781:11</p> <p><b>municipal</b> [34] - 649:13, 652:19, 652:20, 721:13, 721:20, 722:4, 723:1, 724:15, 724:21, 725:2, 725:15, 726:6, 726:8, 726:11, 727:11, 727:22, 728:4, 729:6, 729:21,</p>
---	--	--	---	--

<p>730:8, 731:12, 732:2, 733:13, 734:7, 735:1, 735:3, 736:1, 737:2, 738:3, 740:12, 788:7, 838:2, 838:5</p> <p><b>municipalities</b> [2] - 730:15, 738:7</p> <p><b>municipals</b> [10] - 653:2, 653:9, 655:2, 655:3, 655:8, 693:8, 705:17, 722:11, 724:24, 725:24</p> <p><b>mutual</b> [4] - 690:20, 702:13, 702:16</p> <p><b>mutual-aid</b> [1] - 690:20</p> <p><b>My</b> [19] - 642:12, 645:8, 679:1, 688:6, 688:8, 688:17, 688:22, 688:23, 689:7, 721:9, 730:18, 783:12, 787:13, 819:19, 820:2, 848:22, 850:13</p> <p><b>my</b> [47] - 642:16, 642:23, 643:4, 658:11, 671:13, 671:18, 671:21, 671:24, 694:8, 705:13, 709:9, 712:2, 721:7, 732:15, 732:21, 733:1, 733:20, 733:24, 735:6, 735:7, 736:19, 738:17, 752:18, 757:13, 779:4, 781:21, 793:20, 803:21, 813:8, 820:14, 822:19, 823:6, 827:17, 828:14, 834:8, 834:14, 835:3, 835:5, 839:17, 840:18, 841:13, 841:14, 844:24, 848:13, 848:18, 851:8, 852:4</p> <p><b>myself</b> [5] - 727:24, 728:1, 733:23, 811:6, 842:20</p>	<p>723:24, 725:22, 819:17, 819:19, 829:13, 829:19</p> <p><b>names</b> [3] - 661:19, 735:8, 829:10</p> <p><b>National</b> [12] - 645:8, 645:17, 689:6, 746:13, 810:6, 810:19, 810:22, 811:7, 811:8, 833:10, 835:19, 836:2</p> <p><b>nature</b> [2] - 680:18, 716:23</p> <p><b>necessarily</b> [7] - 700:13, 728:20, 741:10, 773:17, 775:1, 788:24, 838:16</p> <p><b>necessary</b> [3] - 676:24, 764:1, 844:15</p> <p><b>need</b> [33] - 645:14, 662:12, 675:11, 680:4, 682:6, 682:12, 683:4, 683:8, 684:18, 684:21, 699:17, 726:21, 730:19, 738:22, 743:17, 743:18, 760:2, 760:22, 772:22, 782:4, 784:16, 789:21, 789:22, 792:6, 795:13, 816:23, 818:19, 825:1, 826:11, 845:11, 853:17, 854:18</p> <p><b>needed</b> [19] - 680:2, 684:2, 690:9, 692:2, 702:8, 705:11, 707:19, 711:5, 726:1, 728:23, 733:7, 788:20, 823:4, 823:11, 825:8, 848:23, 849:1, 849:9, 852:5</p> <p><b>needs</b> [4] - 687:2, 826:14, 846:20, 846:23</p> <p><b>neighborhood</b> [1] - 728:11</p> <p><b>neighborhoods</b> [1] - 695:9</p> <p><b>neighbors</b> [1] - 703:2</p> <p><b>Nelson</b> [3] - 640:18, 642:17, 812:10</p> <p><b>NELSON</b> [10] - 689:21, 709:5, 711:7, 718:10, 746:4, 857:7,</p>	<p>857:9, 857:11, 857:13, 857:18</p> <p><b>NEMAG</b> [12] - 670:18, 690:3, 691:10, 698:22, 702:19, 703:1, 704:20, 705:7, 705:10, 705:20, 705:23</p> <p><b>nervous</b> [1] - 842:11</p> <p><b>network</b> [3] - 791:21, 792:2, 795:18</p> <p><b>Never</b> [1] - 742:19</p> <p><b>never</b> [5] - 714:8, 714:18, 742:19, 744:17, 753:18</p> <p><b>New</b> [16] - 641:9, 688:9, 688:24, 690:17, 690:18, 703:13, 703:17, 705:2, 707:13, 729:11, 747:5, 747:8, 747:11, 821:21, 835:20, 835:21</p> <p><b>new</b> [6] - 711:22, 713:21, 748:9, 748:12, 831:14, 831:15</p> <p><b>next</b> [20] - 682:17, 683:1, 684:5, 696:14, 751:1, 753:4, 753:18, 754:4, 762:6, 763:20, 767:12, 767:13, 767:15, 767:19, 802:9, 805:4, 819:15, 849:11, 849:23, 850:1</p> <p><b>nice</b> [1] - 846:23</p> <p><b>night</b> [22] - 648:17, 648:22, 650:24, 651:17, 652:13, 684:22, 697:16, 700:21, 700:23, 703:24, 705:8, 708:18, 708:19, 709:2, 709:12, 710:8, 711:4, 711:8, 713:10, 713:11, 714:3, 714:5</p> <p><b>nights</b> [3] - 812:12, 812:14, 812:15</p> <p><b>nighttime</b> [4] - 650:11, 651:19, 684:3</p> <p><b>nine</b> [2] - 790:1, 790:12</p> <p><b>no</b> [33] - 649:11, 651:16, 667:9, 667:24, 670:20, 675:22, 689:13, 692:1, 696:15,</p>	<p>698:12, 698:14, 702:15, 712:12, 717:3, 718:7, 719:17, 721:19, 737:9, 743:9, 745:15, 746:13, 751:4, 767:3, 777:7, 802:16, 807:18, 813:7, 823:21, 825:18, 844:2, 847:11, 847:22, 850:6</p> <p><b>No</b> [46] - 651:14, 657:23, 664:8, 664:20, 665:7, 666:22, 668:21, 673:6, 677:10, 686:14, 692:13, 696:5, 710:9, 747:18, 754:19, 764:1, 766:4, 768:3, 777:2, 777:6, 777:15, 792:24, 799:18, 829:8, 830:14, 832:12, 833:18, 836:21, 837:15, 837:23, 838:4, 838:16, 839:24, 841:6, 841:17, 843:5, 846:12, 847:22, 848:22, 849:20, 850:5, 850:8, 850:13, 851:8, 851:24, 854:19</p> <p><b>nobody</b> [4] - 677:23, 705:14, 705:15, 746:15</p> <p><b>NOC</b> [1] - 795:17</p> <p><b>noise</b> [1] - 773:24</p> <p><b>non</b> [1] - 753:7</p> <p><b>non-demand</b> [1] - 753:7</p> <p><b>nonpayment</b> [1] - 813:14</p> <p><b>nonstandard</b> [1] - 761:19</p> <p><b>noon</b> [2] - 670:17, 692:16</p> <p><b>noontime</b> [3] - 671:9, 690:22, 702:17</p> <p><b>Nor</b> [1] - 806:15</p> <p><b>norm</b> [2] - 773:18, 773:22</p> <p><b>normal</b> [15] - 701:14, 701:16, 701:17, 701:21, 712:24, 752:2, 767:24, 768:10, 771:10, 792:14, 794:21, 799:14, 800:2, 814:2</p> <p><b>normally</b> [3] - 671:6,</p>	<p>750:7, 780:17</p> <p><b>north</b> [3] - 645:19, 645:21, 645:22</p> <p><b>Northeast</b> [1] - 705:18</p> <p><b>Northern</b> [3] - 790:3, 790:14, 790:17</p> <p><b>not</b> [208] - 643:7, 646:8, 650:11, 650:13, 651:4, 651:11, 651:14, 651:21, 655:6, 655:22, 655:23, 660:16, 661:11, 661:14, 664:8, 664:11, 664:21, 667:6, 673:19, 675:12, 675:21, 676:5, 676:14, 676:22, 677:5, 679:3, 679:16, 679:17, 681:2, 681:11, 682:14, 686:12, 686:14, 693:5, 693:19, 694:16, 694:17, 697:21, 700:1, 700:10, 700:13, 704:10, 704:15, 705:5, 706:7, 708:22, 710:9, 712:6, 715:12, 719:5, 721:6, 721:7, 722:14, 725:13, 725:15, 726:3, 728:20, 730:5, 730:10, 731:6, 737:6, 737:14, 737:23, 739:24, 740:10, 742:4, 743:15, 744:5, 744:9, 744:18, 745:5, 745:24, 746:2, 746:11, 750:17, 750:21, 750:24, 751:23, 752:8, 752:10, 753:2, 753:17, 754:14, 755:16, 755:24, 756:1, 756:19, 757:8, 759:18, 759:23, 759:24, 761:20, 761:24, 764:1, 764:10, 764:12, 764:16, 764:18, 765:15, 766:2, 766:4, 768:3, 768:9, 770:10, 770:19, 771:23, 772:4, 772:9, 776:3, 776:10, 776:11, 777:12, 777:13,</p>
<b>N</b>				
<p><b>N</b> [2] - 642:2, 856:1</p> <p><b>name</b> [16] - 642:12, 642:23, 643:4, 643:19, 654:3, 688:4, 688:6, 688:20, 688:22, 706:11,</p>				

<p>777:15, 777:16, 779:21, 780:24, 783:1, 783:18, 783:19, 784:5, 784:14, 785:15, 785:17, 785:19, 786:3, 789:8, 790:16, 791:20, 791:23, 792:24, 793:9, 793:13, 794:9, 798:5, 799:22, 801:10, 802:24, 804:3, 804:15, 804:19, 804:22, 805:3, 807:6, 807:8, 808:4, 808:11, 808:14, 810:3, 811:12, 811:19, 811:21, 813:8, 813:11, 814:14, 815:10, 815:11, 815:12, 815:15, 816:7, 816:23, 817:16, 819:8, 819:9, 821:17, 822:5, 824:7, 825:15, 825:24, 826:5, 826:9, 828:4, 828:19, 830:14, 833:18, 834:20, 835:8, 835:9, 836:16, 836:21, 837:23, 838:16, 839:24, 841:8, 841:17, 845:17, 847:4, 848:12, 848:17, 849:3, 849:16, 851:13, 851:14, 852:8, 852:13, 853:4, 853:5, 853:6, 853:13, 854:19</p> <p><b>Not</b> [1] - 687:1 <b>note</b> [4] - 687:7, 687:17, 821:18, 853:19</p> <p><b>noted</b> [5] - 819:14, 821:3, 822:22, 824:1, 825:9</p> <p><b>notes</b> [3] - 668:2, 684:11, 693:4</p> <p><b>nothing</b> [4] - 671:23, 714:11, 808:3, 846:19</p> <p><b>notice</b> [6] - 771:15, 778:16, 804:6, 814:7, 814:24, 816:17</p> <p><b>noticed</b> [2] - 826:3, 848:2</p> <p><b>notices</b> [12] - 777:12, 777:13, 813:22, 814:5, 814:12,</p>	<p>814:16, 815:6, 815:13, 815:21, 816:1, 816:3, 817:8</p> <p><b>notification</b> [1] - 736:17</p> <p><b>notified</b> [2] - 795:22, 818:11</p> <p><b>notify</b> [1] - 777:16</p> <p><b>noting</b> [1] - 681:1</p> <p><b>Now</b> [18] - 667:21, 725:16, 734:3, 771:15, 775:13, 775:20, 776:18, 784:10, 822:4, 829:1, 829:6, 830:15, 833:19, 840:8, 842:13, 843:13, 850:18, 851:21</p> <p><b>now</b> [20] - 662:9, 675:7, 678:11, 687:2, 687:7, 706:15, 716:16, 718:21, 718:23, 727:18, 730:10, 760:1, 771:6, 799:6, 826:10, 827:12, 845:18, 850:14, 852:9, 854:18</p> <p><b>NSTAR</b> [1] - 833:8</p> <p><b>number</b> [61] - 646:13, 658:11, 660:14, 672:11, 673:2, 674:19, 685:10, 685:12, 685:14, 690:23, 691:4, 691:6, 694:24, 696:20, 697:17, 703:20, 704:4, 708:23, 709:16, 710:7, 710:18, 710:23, 711:10, 715:4, 715:20, 718:20, 723:7, 733:20, 734:5, 735:4, 735:6, 738:16, 758:22, 770:19, 771:5, 772:15, 774:9, 776:19, 781:9, 783:7, 785:7, 785:8, 788:19, 788:24, 790:9, 791:2, 791:6, 793:8, 793:18, 797:1, 797:5, 804:12, 814:22, 815:21, 816:10, 820:9, 825:16, 827:16, 833:15, 849:14, 853:21</p> <p><b>numbers</b> [26] - 700:10, 707:1,</p>	<p>712:21, 722:23, 723:6, 723:14, 725:4, 728:19, 733:19, 735:8, 739:8, 771:6, 776:5, 789:12, 792:21, 792:22, 793:1, 793:2, 793:4, 814:11, 817:3, 817:5, 844:2</p> <p><b>numerous</b> [2] - 830:2, 830:5</p>	<p>641:12, 642:4, 642:6, 642:7, 642:13, 642:18, 642:21, 642:24, 643:3, 643:9, 643:12, 643:21, 643:24, 644:5, 644:20, 645:2, 645:10, 645:15, 646:1, 646:2, 646:12, 646:13, 646:15, 646:16, 646:19, 646:21, 647:1, 647:2, 647:6, 647:16, 648:2, 648:8, 648:12, 648:14, 648:15, 648:16, 648:20, 649:12, 649:18, 649:21, 650:3, 650:24, 651:2, 651:17, 651:20, 652:3, 652:13, 652:16, 652:18, 652:21, 653:4, 653:9, 654:22, 655:6, 655:19, 655:21, 656:2, 656:16, 656:21, 657:3, 657:4, 657:9, 657:23, 658:2, 658:5, 658:7, 658:11, 658:18, 658:24, 659:11, 659:13, 659:20, 660:9, 661:21, 662:5, 662:7, 663:2, 663:6, 663:7, 663:9, 663:11, 663:19, 663:20, 664:24, 666:9, 666:18, 666:21, 667:16, 667:20, 667:21, 667:23, 668:2, 668:4, 668:5, 668:16, 668:17, 668:23, 669:1, 669:12, 669:15, 669:16, 669:17, 670:10, 670:12, 670:14, 670:17, 671:8, 671:14, 671:22, 672:1, 672:4, 672:15, 672:19, 673:20, 673:21, 674:5, 674:13, 674:16, 674:19, 674:20, 675:2, 675:4, 675:5, 675:8, 677:8, 677:22, 678:9, 678:11, 679:4, 679:6, 679:16, 679:18,</p>	<p>679:20, 680:7, 680:8, 680:18, 680:23, 681:4, 681:13, 681:18, 682:1, 682:2, 682:12, 682:14, 682:22, 683:11, 683:17, 683:20, 683:24, 684:3, 684:19, 684:20, 685:7, 685:9, 685:10, 685:12, 685:14, 685:18, 686:24, 687:6, 687:7, 687:8, 688:7, 688:12, 688:15, 688:17, 688:23, 689:3, 689:5, 690:4, 690:5, 690:8, 690:9, 690:22, 690:23, 690:24, 691:1, 692:8, 693:4, 693:15, 693:18, 694:2, 694:10, 694:11, 694:15, 694:19, 695:1, 695:3, 695:5, 695:6, 695:8, 695:9, 695:10, 695:15, 695:20, 695:24, 696:3, 696:5, 696:7, 696:13, 696:21, 697:4, 697:9, 697:10, 697:13, 697:15, 697:16, 697:17, 698:5, 698:6, 699:10, 699:19, 700:12, 700:16, 700:24, 701:2, 701:3, 701:8, 701:9, 701:10, 702:1, 703:4, 703:5, 703:20, 704:1, 704:4, 704:12, 704:16, 704:17, 704:24, 705:16, 706:1, 706:11, 706:17, 707:6, 707:7, 709:3, 709:9, 709:16, 709:21, 710:1, 710:2, 710:7, 710:10, 710:12, 710:18, 710:23, 711:9, 711:10, 711:19, 711:24, 712:1, 712:11, 712:17, 712:19, 712:20, 713:10, 713:11, 713:23, 714:8, 714:20, 715:2, 715:5, 715:6, 715:7, 715:10, 715:13, 715:17,</p>
--	---	---	---	---

715:19, 716:7, 716:14, 716:23, 717:4, 717:5, 717:11, 717:18, 717:22, 718:1, 718:3, 718:6, 718:8, 718:9, 718:18, 718:23, 719:3, 719:10, 719:11, 719:18, 719:21, 719:24, 720:5, 720:12, 721:7, 721:16, 721:20, 722:4, 722:5, 722:7, 722:9, 724:9, 724:15, 724:23, 725:3, 725:21, 726:19, 726:20, 728:3, 728:6, 728:13, 728:14, 728:15, 728:16, 728:18, 729:4, 729:6, 729:10, 729:13, 729:24, 730:3, 730:4, 730:7, 730:9, 730:20, 730:23, 731:5, 731:7, 731:10, 731:16, 732:5, 732:8, 732:19, 733:2, 733:18, 733:24, 734:14, 734:17, 735:7, 735:13, 735:20, 735:24, 736:1, 736:3, 736:11, 736:17, 736:20, 736:21, 737:19, 738:12, 738:16, 738:17, 738:24, 739:2, 739:6, 739:7, 739:8, 739:17, 739:18, 739:19, 739:22, 740:1, 740:3, 740:4, 740:6, 740:15, 740:17, 740:19, 741:3, 741:7, 742:5, 742:6, 742:18, 742:22, 742:23, 743:1, 743:13, 743:18, 744:14, 744:15, 745:3, 745:6, 745:7, 745:16, 745:22, 746:1, 746:2, 746:9, 746:19, 746:20, 746:24, 747:14, 748:7, 748:8, 748:10, 748:13, 748:14, 748:16, 749:5, 749:15, 749:18, 751:4, 751:11, 751:15, 751:22, 752:14,	752:15, 752:24, 753:12, 753:13, 754:9, 754:18, 754:19, 755:13, 756:2, 756:7, 756:10, 756:14, 756:23, 756:24, 757:10, 757:11, 757:12, 757:13, 757:16, 758:2, 758:5, 758:11, 758:18, 758:22, 758:23, 759:1, 759:2, 759:7, 759:12, 759:13, 759:14, 760:17, 761:2, 761:8, 761:13, 761:15, 761:21, 762:1, 762:13, 762:23, 762:24, 763:6, 763:8, 764:6, 765:10, 765:12, 766:2, 766:11, 766:15, 766:23, 768:2, 768:8, 768:23, 770:3, 770:4, 770:5, 770:11, 770:17, 770:19, 770:23, 771:1, 771:2, 771:5, 771:6, 771:8, 771:11, 771:12, 771:22, 772:2, 772:11, 772:15, 772:16, 772:20, 772:21, 773:8, 773:15, 774:5, 774:9, 774:15, 775:3, 775:20, 775:23, 776:18, 776:19, 777:18, 777:23, 778:1, 778:8, 778:16, 778:21, 778:22, 779:9, 779:10, 779:13, 780:7, 780:8, 780:14, 780:17, 780:19, 780:22, 780:23, 781:3, 781:9, 781:14, 781:23, 782:5, 782:13, 783:3, 783:14, 783:16, 783:23, 784:3, 784:11, 784:16, 784:20, 785:1, 785:3, 785:7, 785:8, 785:9, 785:16, 785:22, 785:24, 786:1, 786:9, 786:15, 786:16, 786:22, 787:2, 787:9, 788:13, 788:14, 788:15, 788:19,	788:24, 789:5, 789:12, 790:9, 790:10, 790:14, 791:2, 791:6, 791:9, 791:16, 791:18, 791:20, 791:23, 792:13, 792:15, 793:8, 793:20, 794:1, 794:2, 794:8, 794:9, 794:15, 795:4, 795:5, 795:13, 795:14, 795:20, 795:21, 796:12, 796:13, 796:16, 797:3, 797:8, 797:9, 797:12, 797:13, 797:14, 797:17, 797:22, 798:21, 799:5, 799:7, 799:13, 799:24, 800:18, 800:24, 801:20, 802:2, 803:5, 803:7, 803:9, 803:11, 804:4, 804:9, 804:21, 805:15, 805:24, 806:22, 807:9, 807:11, 807:21, 808:3, 808:5, 808:17, 809:11, 809:15, 810:9, 810:16, 810:22, 812:2, 812:18, 812:23, 813:10, 813:11, 814:1, 814:7, 814:9, 814:11, 814:12, 814:22, 815:16, 815:21, 816:5, 816:10, 816:13, 817:7, 818:10, 820:11, 821:10, 821:11, 821:19, 822:1, 822:5, 823:6, 823:7, 823:9, 823:12, 823:17, 824:2, 824:11, 824:12, 824:14, 824:15, 825:6, 825:9, 825:14, 825:16, 826:4, 826:6, 826:8, 827:2, 827:3, 827:5, 827:7, 827:8, 827:15, 827:16, 827:19, 827:22, 828:20, 829:2, 829:11, 829:13, 830:1, 830:4, 830:12, 830:17, 830:23, 831:2, 831:4, 831:13, 831:14, 831:19, 831:22, 831:23,	832:1, 832:11, 832:12, 832:14, 832:18, 832:20, 832:22, 832:23, 832:24, 833:2, 833:15, 833:21, 833:24, 834:2, 834:4, 834:14, 834:20, 835:1, 835:5, 835:6, 835:10, 835:15, 835:21, 835:22, 836:18, 836:21, 836:23, 837:3, 837:6, 837:13, 837:19, 837:21, 838:5, 838:7, 838:8, 838:9, 839:13, 839:14, 839:15, 839:16, 839:17, 839:19, 840:1, 840:12, 840:16, 840:17, 840:20, 840:21, 841:7, 841:11, 841:20, 842:8, 842:11, 842:17, 842:19, 842:22, 843:3, 843:6, 843:18, 843:23, 844:8, 844:9, 844:11, 844:12, 845:3, 845:4, 845:5, 845:13, 845:22, 845:23, 845:24, 846:14, 846:16, 847:5, 847:6, 847:8, 847:11, 847:20, 847:21, 848:2, 848:4, 848:5, 848:9, 848:12, 848:19, 848:20, 849:14, 849:17, 850:10, 850:11, 850:14, 850:22, 851:2, 851:12, 851:15, 851:18, 851:19, 851:21, 852:1, 852:4, 852:19, 852:21, 853:7, 853:16, 853:21, 854:4, 854:5, 854:10, 854:11, 854:15, 854:20, 855:11 <b>of...</b> [1] - 804:14 <b>Off</b> [3] - 656:24, 754:21, 765:7 <b>off</b> [38] - 653:12, 653:14, 654:20, 657:1, 658:11, 663:2, 668:14, 678:7, 680:20, 687:3,	694:10, 694:11, 694:23, 709:9, 717:17, 717:24, 748:3, 754:22, 762:9, 762:11, 765:5, 765:8, 793:20, 803:20, 803:24, 816:6, 816:11, 816:12, 816:13, 816:18, 817:9, 818:5, 824:15, 837:16, 846:21, 847:23, 853:24, 854:2 <b>off-road</b> [1] - 680:20 <b>offered</b> [3] - 808:1, 808:2, 833:4 <b>offering</b> [1] - 801:5 <b>offhand</b> [1] - 796:12 <b>office</b> [6] - 693:14, 693:21, 788:6, 828:14, 828:18, 854:8 <b>Office</b> [2] - 641:12, 818:10 <b>officer</b> [3] - 642:15, 644:2, 855:9 <b>Officer</b> [5] - 640:9, 640:10, 655:15, 656:17, 854:20 <b>officers</b> [2] - 642:13, 724:4 <b>official</b> [11] - 723:1, 723:9, 727:2, 727:4, 738:3, 741:24, 742:20, 742:24, 743:16, 743:17, 838:6 <b>officials</b> [44] - 652:20, 654:22, 656:6, 720:24, 724:4, 724:13, 725:16, 725:17, 725:21, 726:6, 726:8, 726:11, 726:12, 727:11, 728:4, 732:2, 732:11, 733:17, 734:8, 734:19, 735:1, 735:3, 736:12, 737:3, 739:23, 740:6, 740:16, 741:9, 742:17, 745:1, 778:4, 788:7, 793:4, 797:11, 797:14, 838:2, 838:9, 838:24, 839:21, 840:7 <b>Officials</b> [1] - 721:5 <b>officials'</b> [1] - 740:13 <b>often</b> [4] - 652:5, 726:3, 728:21, 739:4 <b>Oh</b> [1] - 775:12 <b>oh</b> [1] - 839:17
--	---	--	--	---



<p><b>Okay</b> [9] - 691:10, 692:2, 720:13, 754:6, 773:4, 810:18, 816:4, 818:3, 832:5</p> <p><b>okay</b> [1] - 696:14</p> <p><b>omitted</b> [1] - 821:22</p> <p><b>OMS</b> [1] - 667:6</p> <p><b>On</b> [23] - 642:21, 643:3, 663:7, 663:20, 668:19, 679:14, 679:15, 679:20, 690:21, 699:22, 699:23, 703:9, 713:6, 721:16, 725:5, 727:20, 732:4, 771:23, 793:24, 798:22, 801:14, 853:19, 854:20</p> <p><b>on</b> [354] - 640:6, 642:6, 642:14, 642:15, 644:20, 644:21, 644:23, 645:6, 645:10, 647:11, 647:14, 648:6, 648:20, 649:18, 650:8, 651:7, 651:12, 651:20, 652:13, 652:16, 653:15, 655:1, 656:14, 656:18, 657:2, 657:3, 657:8, 657:12, 658:17, 660:9, 661:11, 662:2, 662:6, 663:1, 663:3, 663:10, 663:16, 665:19, 666:9, 666:15, 666:21, 668:3, 668:5, 669:8, 669:11, 669:21, 670:1, 670:8, 670:17, 672:2, 672:3, 672:6, 673:14, 673:15, 674:6, 675:22, 676:5, 676:20, 677:8, 677:24, 678:6, 678:8, 678:10, 678:13, 679:9, 679:11, 680:14, 681:1, 681:17, 682:10, 683:11, 683:24, 685:1, 685:9, 685:20, 685:21, 687:5, 688:14, 689:4, 689:11, 690:3, 690:7, 690:19, 690:23, 691:7, 692:5, 693:3, 693:16, 693:17, 693:22, 694:18,</p>	<p>696:18, 698:2, 698:13, 698:23, 699:1, 699:12, 699:24, 700:7, 700:17, 702:4, 702:15, 703:11, 703:23, 707:5, 707:7, 707:10, 708:18, 708:19, 710:8, 710:18, 711:4, 711:15, 711:21, 711:22, 712:14, 712:20, 713:4, 714:4, 714:11, 714:21, 715:7, 717:1, 718:13, 718:16, 719:15, 719:20, 720:5, 720:7, 720:15, 720:24, 721:7, 722:2, 722:13, 723:3, 724:1, 724:12, 726:19, 727:12, 727:24, 728:7, 728:17, 728:23, 728:24, 729:6, 730:4, 730:17, 732:1, 732:8, 732:17, 733:9, 733:16, 733:17, 733:19, 734:12, 734:13, 735:12, 735:14, 737:5, 737:11, 738:13, 738:14, 740:8, 740:16, 740:18, 741:4, 741:17, 741:18, 741:24, 742:7, 742:22, 744:12, 745:17, 746:10, 746:23, 747:13, 747:23, 748:1, 748:6, 748:12, 748:22, 750:6, 750:8, 750:13, 750:17, 750:20, 751:4, 752:2, 753:8, 754:18, 754:23, 755:1, 755:8, 755:12, 755:15, 755:21, 755:23, 756:14, 756:24, 757:1, 757:22, 759:12, 759:22, 760:14, 760:16, 760:17, 760:22, 761:12, 761:19, 761:24, 762:5, 762:12, 762:21, 763:11, 763:14, 763:19, 764:11, 764:21, 765:9,</p>	<p>765:24, 766:2, 766:14, 766:22, 767:4, 767:9, 767:17, 769:2, 770:17, 771:2, 771:4, 771:16, 772:21, 773:5, 773:12, 773:16, 773:24, 774:4, 774:13, 774:14, 774:16, 774:23, 775:22, 776:7, 776:8, 777:8, 777:20, 777:21, 778:16, 779:9, 779:10, 779:11, 781:15, 781:17, 782:21, 783:17, 784:24, 785:13, 785:16, 786:5, 791:2, 794:7, 794:18, 796:2, 797:22, 798:5, 798:6, 798:19, 798:20, 799:7, 799:23, 800:11, 800:15, 800:17, 801:15, 803:2, 803:21, 805:7, 805:12, 805:19, 806:22, 807:14, 808:8, 808:10, 808:11, 808:24, 809:2, 809:17, 812:3, 812:8, 813:18, 813:24, 814:11, 816:24, 817:6, 817:7, 818:8, 818:20, 818:21, 818:24, 819:2, 819:5, 819:10, 820:13, 821:9, 821:10, 822:2, 822:3, 822:16, 823:1, 823:2, 823:10, 824:10, 825:11, 825:19, 825:21, 826:22, 827:3, 827:5, 829:24, 830:9, 831:19, 833:17, 833:20, 834:10, 834:19, 835:5, 835:14, 837:15, 839:5, 840:5, 840:18, 840:20, 841:6, 841:14, 841:19, 845:11, 845:13, 845:24, 847:20, 848:13, 849:8, 850:2, 850:3, 850:13, 850:22, 854:3, 855:12</p> <p><b>once</b> [9] - 674:3,</p>	<p>681:19, 695:1, 703:3, 707:15, 738:4, 742:12, 753:3, 773:10</p> <p><b>Once</b> [4] - 695:23, 703:3, 719:24, 746:17</p> <p><b>one</b> [101] - 642:13, 646:1, 646:7, 646:19, 648:8, 649:12, 651:1, 651:4, 656:18, 662:7, 673:4, 673:8, 674:16, 675:4, 695:11, 695:15, 699:16, 699:17, 700:17, 701:8, 701:9, 701:24, 702:3, 703:22, 712:3, 718:14, 718:15, 718:20, 718:22, 722:1, 726:16, 728:16, 729:24, 730:23, 735:19, 736:2, 738:17, 746:24, 747:4, 747:16, 748:13, 750:21, 750:23, 750:24, 751:2, 753:7, 754:15, 754:18, 755:1, 756:2, 756:6, 758:2, 759:5, 759:6, 760:20, 768:6, 768:16, 774:13, 774:23, 775:9, 777:7, 785:12, 787:7, 787:8, 794:1, 794:8, 794:17, 795:5, 800:24, 801:22, 804:3, 804:22, 810:17, 814:16, 816:22, 817:15, 819:2, 821:12, 821:16, 822:6, 825:8, 825:9, 826:4, 826:24, 827:20, 832:14, 834:23, 839:2, 844:17, 844:18, 845:7, 846:19, 848:1, 850:8, 850:21, 851:18, 853:7, 853:14, 854:12</p> <p><b>One</b> [20] - 640:5, 641:14, 646:11, 688:9, 698:20, 733:19, 771:11, 776:9, 779:10, 795:12, 805:3, 806:17, 807:3, 807:16, 814:21, 823:6, 827:15, 829:9, 829:12, 849:14</p>	<p><b>ones</b> [3] - 664:19, 747:5, 766:9</p> <p><b>ongoing</b> [2] - 674:3, 675:14</p> <p><b>Only</b> [1] - 740:14</p> <p><b>only</b> [20] - 702:18, 717:11, 719:13, 719:20, 720:14, 750:12, 752:19, 757:18, 779:21, 807:11, 826:24, 835:9, 845:10, 846:4, 846:12, 848:13, 849:3, 850:13, 853:9, 853:14</p> <p><b>onto</b> [4] - 671:7, 675:3, 720:20, 762:2</p> <p><b>open</b> [5] - 648:23, 695:21, 696:15, 722:7, 823:11</p> <p><b>opened</b> [1] - 722:3</p> <p><b>opening</b> [1] - 831:8</p> <p><b>opens</b> [1] - 722:6</p> <p><b>operate</b> [3] - 659:17, 722:7, 799:16</p> <p><b>operating</b> [4] - 644:2, 674:9, 729:10, 799:14</p> <p><b>operation</b> [1] - 796:23</p> <p><b>operational</b> [3] - 655:13, 725:14, 837:6</p> <p><b>operationally</b> [1] - 745:5</p> <p><b>operations</b> [11] - 643:24, 648:23, 654:6, 660:22, 660:24, 675:23, 689:9, 693:1, 731:20, 788:6, 800:5</p> <p><b>opinion</b> [3] - 712:2, 830:24, 842:4</p> <p><b>opportunity</b> [6] - 664:5, 664:11, 674:18, 819:10, 825:11, 841:10</p> <p><b>opposition</b> [1] - 818:13</p> <p><b>option</b> [3] - 789:9, 805:3, 806:14</p> <p><b>options</b> [2] - 805:2, 808:2</p> <p><b>or</b> [188] - 642:9, 647:2, 648:15, 651:1, 651:4, 651:8, 652:9, 652:21, 653:5, 655:22, 662:3,</p>
--	--	---	---	--

662:11, 663:17,  
666:6, 667:9, 669:22,  
670:13, 672:4,  
673:13, 674:9,  
675:12, 684:2, 685:2,  
685:15, 686:1, 695:9,  
696:9, 697:1, 698:11,  
700:4, 700:13,  
702:14, 703:1, 707:4,  
707:17, 709:20,  
711:11, 712:18,  
714:24, 717:9, 718:2,  
718:14, 718:20,  
718:22, 719:15,  
719:19, 719:21,  
722:6, 723:1, 723:23,  
726:17, 726:18,  
726:20, 727:3, 728:1,  
728:4, 728:9, 728:10,  
728:11, 728:20,  
730:4, 730:12,  
730:23, 734:11,  
734:12, 735:7,  
736:18, 736:19,  
738:17, 738:18,  
738:19, 740:12,  
744:18, 745:9, 746:5,  
747:5, 749:24,  
750:12, 751:12,  
752:6, 752:7, 753:5,  
753:8, 753:10, 754:7,  
756:15, 757:9,  
757:14, 758:15,  
759:13, 759:24,  
760:14, 764:14,  
765:15, 765:16,  
766:3, 768:12,  
768:23, 769:3,  
774:15, 775:20,  
776:7, 776:14, 777:4,  
778:1, 781:22,  
781:24, 785:18,  
787:21, 788:1,  
791:22, 793:18,  
795:1, 796:7, 796:9,  
797:18, 797:20,  
798:1, 799:24, 801:1,  
801:7, 801:19, 804:3,  
804:22, 805:19,  
806:17, 808:3,  
808:16, 809:10,  
812:2, 814:8, 816:23,  
817:12, 817:16,  
817:17, 818:13,  
819:11, 820:23,  
821:5, 821:9, 822:9,  
823:1, 823:17,  
823:23, 825:20,

827:20, 828:20,  
828:21, 830:1, 830:4,  
831:9, 832:2, 832:10,  
832:21, 833:14,  
833:16, 833:24,  
836:19, 837:2,  
837:13, 837:24,  
838:14, 839:22,  
840:9, 841:3, 842:2,  
845:16, 846:24,  
847:6, 847:18,  
847:19, 848:4, 848:9,  
849:24, 850:8, 852:7,  
852:13  
**Or** [3] - 700:5,  
713:12, 805:7  
**order** [23] - 682:22,  
684:1, 693:21,  
708:21, 715:7,  
716:24, 725:7,  
751:18, 769:5,  
824:23, 825:2,  
832:18, 832:20,  
833:17, 833:22,  
836:8, 836:13,  
836:15, 837:9, 847:2,  
847:5, 847:6, 847:16  
**ordered** [1] - 847:8  
**orderly** [1] - 738:12  
**orders** [10] - 652:8,  
667:18, 682:16,  
684:14, 689:9,  
833:23, 834:10,  
834:14, 836:6, 838:21  
**organization** [1] -  
675:9  
**organizations** [3] -  
839:19, 840:14,  
840:17  
**organized** [2] -  
683:21, 840:15  
**organizing** [1] -  
683:23  
**original** [3] - 690:3,  
691:16, 697:19  
**originally** [2] - 707:3,  
720:17  
**OSBORNE** [8] -  
748:20, 769:13,  
769:17, 769:23,  
780:1, 857:19,  
857:21, 857:23  
**Osborne** [5] -  
640:15, 748:13,  
748:18, 754:17,  
809:22  
**Osmose** [1] - 674:24

**Other** [1] - 734:21  
**other** [79] - 645:10,  
646:21, 647:18,  
647:19, 656:22,  
659:16, 665:3, 665:5,  
674:15, 674:21,  
680:4, 694:14,  
694:24, 697:13,  
697:14, 698:1,  
698:14, 698:15,  
698:18, 702:20,  
703:2, 713:8, 715:11,  
717:3, 719:22,  
724:11, 725:1,  
727:14, 727:20,  
728:4, 729:9, 729:14,  
730:20, 731:3,  
731:14, 731:19,  
733:20, 734:2, 734:6,  
734:24, 735:2, 735:9,  
740:22, 740:23,  
745:19, 749:24,  
758:21, 759:17,  
772:18, 773:23,  
778:8, 779:11,  
781:22, 783:8, 788:2,  
788:3, 788:5, 788:6,  
792:13, 797:16,  
801:4, 804:3, 804:23,  
806:1, 810:24,  
818:15, 826:17,  
833:7, 833:23,  
835:17, 841:2,  
845:10, 845:11,  
847:12, 849:8, 850:9,  
851:6, 851:12  
**others** [4] - 646:14,  
825:22, 831:1, 845:9  
**otherwise** [3] -  
702:2, 715:12, 786:17  
**Our** [5] - 695:14,  
716:5, 738:6, 764:9,  
818:17  
**our** [83] - 643:6,  
647:3, 647:14,  
648:18, 655:3,  
663:16, 664:9,  
665:10, 666:9,  
670:13, 671:7,  
674:20, 676:18,  
686:5, 690:14,  
690:15, 692:6, 693:9,  
693:10, 693:17,  
695:9, 695:19,  
695:20, 695:21,  
696:13, 697:1, 699:6,  
700:24, 703:7,  
703:11, 706:17,

707:5, 707:22,  
707:23, 708:23,  
709:20, 709:21,  
711:15, 711:19,  
715:6, 716:11,  
720:20, 722:23,  
723:5, 723:16,  
723:23, 725:4, 727:5,  
727:17, 740:7, 743:4,  
743:19, 748:7,  
748:16, 748:17,  
751:21, 753:2, 758:5,  
759:9, 761:7, 761:23,  
763:16, 769:19,  
772:3, 790:3, 791:6,  
792:2, 792:3, 792:15,  
794:22, 795:7,  
795:13, 795:14,  
795:16, 795:20,  
795:21, 797:7, 812:9,  
813:18, 828:18  
**out** [128] - 646:11,  
646:23, 647:16,  
647:18, 651:3, 652:9,  
652:12, 655:9, 659:6,  
660:5, 660:15,  
661:20, 664:5, 665:5,  
667:10, 667:12,  
671:19, 673:23,  
674:20, 679:2, 679:5,  
681:4, 681:19,  
682:22, 683:6,  
683:16, 685:3,  
685:22, 689:10,  
690:14, 692:17,  
695:4, 695:9, 695:10,  
696:6, 696:14, 698:5,  
698:6, 701:9, 702:1,  
702:3, 704:24, 705:3,  
710:16, 710:17,  
711:16, 714:23,  
716:14, 718:14,  
719:7, 719:24, 720:5,  
720:19, 722:7,  
722:10, 724:8, 726:6,  
728:12, 728:24,  
729:8, 734:18,  
734:19, 744:7, 746:9,  
746:24, 747:8,  
747:14, 751:16,  
751:22, 754:8, 755:4,  
755:6, 755:14, 756:5,  
757:11, 759:2,  
760:22, 764:15,  
764:16, 766:3,  
766:11, 766:14,  
766:21, 767:15,  
769:10, 770:9,

770:14, 770:24,  
771:16, 774:4,  
774:14, 775:10,  
780:8, 780:22, 781:1,  
782:12, 785:8, 793:2,  
794:17, 795:9, 802:7,  
802:12, 802:13,  
802:15, 802:17,  
802:22, 808:5, 809:5,  
811:12, 814:4,  
814:10, 814:12,  
814:13, 814:15,  
814:23, 815:6, 815:9,  
815:11, 815:14,  
826:6, 829:18,  
834:16, 837:14,  
839:1, 840:1, 840:3,  
845:1  
**out-of-town** [1] -  
704:24  
**outage** [13] - 766:12,  
781:10, 785:17,  
789:7, 792:10,  
799:13, 799:17,  
801:24, 807:21,  
828:18, 831:4,  
832:11, 836:6  
**outages** [4] - 667:8,  
692:5, 711:22, 763:16  
**outgoing** [1] - 736:5  
**outrageous** [1] -  
842:4  
**outset** [1] - 680:23  
**outside** [9] - 674:19,  
683:22, 683:24,  
690:1, 735:24, 736:3,  
743:18, 773:5, 848:4  
**outsider** [1] - 851:9  
**over** [13] - 678:15,  
681:3, 681:9, 681:13,  
733:12, 739:18,  
753:4, 775:14,  
781:14, 784:19,  
836:3, 836:9, 846:7  
**over-the-top** [2] -  
781:14, 784:19  
**overbilled** [1] -  
803:17  
**overflow** [2] -  
796:18, 797:10  
**overlap** [2] - 648:12,  
648:15  
**overly** [1] - 824:7  
**overnight** [2] -  
682:14, 682:24  
**override** [1] - 754:9  
**overseeing** [1] -

664:3 <b>overusage</b> [1] - 753:10 <b>overwhelmed</b> [2] - 732:7, 732:10 <b>overwritten</b> [1] - 710:13 <b>own</b> [11] - 642:6, 693:9, 706:1, 706:7, 740:7, 745:2, 825:21, 830:17, 835:3, 844:20, 848:13	<b>part</b> [22] - 657:23, 659:11, 668:5, 670:10, 675:5, 682:14, 703:22, 713:22, 716:19, 731:5, 737:5, 745:3, 755:8, 758:11, 761:8, 780:14, 783:13, 783:23, 797:12, 798:21, 817:7, 833:21 <b>Part</b> [1] - 741:7 <b>partial</b> [1] - 805:7 <b>participants</b> [2] - 702:19, 705:10 <b>participated</b> [2] - 688:12, 811:5 <b>particular</b> [33] - 645:2, 661:12, 661:21, 662:8, 673:15, 682:23, 700:17, 704:18, 718:18, 723:24, 725:9, 726:2, 728:10, 728:11, 728:23, 750:13, 758:20, 763:11, 765:18, 783:7, 785:6, 785:8, 791:11, 792:16, 803:1, 827:21, 828:7, 829:9, 832:15, 833:13, 845:20, 853:18 <b>particularly</b> [5] - 768:14, 825:12, 833:3, 834:19, 847:20 <b>parties</b> [4] - 819:3, 819:9, 826:18, 827:9 <b>partly</b> [1] - 683:21 <b>parts</b> [5] - 646:21, 646:24, 656:15, 656:16, 851:12 <b>pass</b> [2] - 691:19, 839:5 <b>passed</b> [1] - 693:20 <b>past</b> [6] - 717:2, 717:5, 717:22, 718:1, 719:15, 733:6 <b>pathway</b> [1] - 647:2 <b>patience</b> [1] - 796:14 <b>patrol</b> [5] - 676:20, 678:6, 679:9, 680:23, 700:19 <b>patrolling</b> [2] - 678:8, 680:11 <b>patrols</b> [1] - 676:19 <b>pattern</b> [1] - 827:19 <b>Paul</b> [3] - 640:15,	748:13, 809:22 <b>Pause</b> [3] - 650:21, 653:11, 657:15 <b>pay</b> [10] - 757:9, 757:12, 757:15, 776:21, 805:4, 805:7, 808:2, 808:3, 814:6 <b>payment</b> [1] - 805:7 <b>PBX</b> [1] - 795:8 <b>peak</b> [6] - 754:2, 754:4, 789:15, 789:21, 789:22, 792:6 <b>PECo</b> [5] - 699:7, 705:23, 705:24, 706:6 <b>Peg</b> [6] - 655:7, 721:12, 723:6, 727:8, 732:21, 733:23 <b>pen</b> [1] - 843:4 <b>pending</b> [1] - 706:7 <b>pension/PBOP</b> [1] - 787:6 <b>people</b> [43] - 649:21, 660:16, 661:8, 661:24, 662:7, 662:19, 667:7, 673:1, 674:13, 674:19, 674:21, 675:3, 675:23, 678:6, 678:7, 679:12, 684:7, 687:20, 705:14, 719:2, 725:18, 727:13, 729:1, 730:2, 736:3, 736:6, 739:19, 745:6, 746:3, 748:12, 796:14, 797:1, 817:8, 829:11, 837:6, 837:7, 837:11, 838:19, 846:22, 848:3, 849:2 <b>People</b> [3] - 673:17, 745:8, 805:24 <b>per</b> [2] - 664:14, 789:1 <b>perceived</b> [1] - 815:1 <b>percent</b> [9] - 694:12, 694:23, 770:17, 771:1, 771:3, 772:5, 773:18, 789:19 <b>percentage</b> [6] - 668:23, 669:22, 694:10, 694:11, 771:5, 773:8 <b>perception</b> [1] - 745:2 <b>perfection</b> [2] - 770:19, 770:20 <b>perform</b> [6] - 663:21, 663:23, 672:20,	676:19, 713:24, 829:24 <b>performance</b> [1] - 830:22 <b>performed</b> [7] - 650:7, 658:22, 660:11, 679:8, 679:11, 679:12, 692:1 <b>performing</b> [22] - 659:1, 659:3, 659:7, 659:14, 660:2, 660:7, 660:24, 661:3, 661:15, 661:24, 662:1, 662:15, 663:17, 673:1, 679:23, 683:12, 691:1, 703:11, 721:24, 726:7, 834:1 <b>Perhaps</b> [2] - 762:20, 817:23 <b>perhaps</b> [7] - 755:20, 756:14, 757:21, 792:9, 803:22, 808:19, 850:23 <b>period</b> [34] - 656:13, 711:20, 740:1, 749:4, 754:3, 754:5, 758:18, 759:8, 762:24, 763:6, 763:8, 767:15, 777:14, 781:8, 785:23, 786:23, 790:8, 791:3, 794:2, 796:6, 802:4, 809:11, 813:10, 813:11, 814:1, 814:2, 814:7, 815:5, 816:5, 816:10, 816:12, 830:10, 844:19 <b>periods</b> [4] - 648:14, 767:23, 767:24, 768:11 <b>Perlmutter</b> [3] - 640:11, 642:16, 721:5 <b>PERLMUTTER</b> [20] - 644:15, 654:19, 655:18, 656:1, 658:6, 666:1, 668:15, 678:24, 681:23, 720:22, 736:23, 856:7, 856:13, 856:15, 856:17, 856:19, 856:21, 856:23, 857:15, 857:17 <b>person</b> [29] - 653:16, 661:12, 662:10, 677:1, 722:24, 723:9, 724:8, 724:9, 724:10,	727:18, 730:13, 730:18, 730:23, 731:3, 731:4, 733:22, 735:4, 739:3, 739:12, 739:13, 745:19, 745:23, 777:3, 777:4, 810:14, 839:2, 839:18, 846:21, 852:8 <b>personal</b> [3] - 660:2, 660:6, 698:5 <b>personally</b> [1] - 812:14 <b>personnel</b> [24] - 644:22, 659:3, 660:5, 660:8, 660:19, 660:21, 660:23, 663:15, 663:20, 664:6, 665:5, 666:16, 672:3, 673:19, 674:8, 675:9, 675:23, 680:10, 734:13, 734:14, 735:19, 737:22, 793:3, 798:20 <b>persons</b> [4] - 661:3, 662:22, 664:14, 837:12 <b>perspective</b> [3] - 725:14, 838:22, 851:16 <b>phase</b> [4] - 668:9, 668:23, 669:4, 718:16 <b>phone</b> [29] - 670:17, 698:2, 703:24, 705:16, 705:22, 722:8, 725:19, 727:12, 732:5, 732:10, 733:21, 734:5, 734:16, 735:23, 736:5, 737:24, 739:7, 757:7, 791:13, 791:21, 792:7, 792:9, 795:11, 796:9, 796:24, 797:4, 798:6, 823:2 <b>phone-call</b> [1] - 792:9 <b>phones</b> [1] - 796:7 <b>phrase</b> [1] - 810:24 <b>phrases</b> [1] - 848:11 <b>physical</b> [1] - 667:14 <b>physically</b> [2] - 761:22, 795:10 <b>pick</b> [7] - 650:7, 695:1, 695:8, 696:8, 696:16, 789:9, 824:4 <b>picked</b> [3] - 725:19, 791:12, 824:17
--	---	---	--	--

<p><b>picking</b> [2] - 713:20, 727:3</p> <p><b>Pickup</b> [1] - 659:22</p> <p><b>pickup</b> [2] - 704:14, 800:3</p> <p><b>picture</b> [1] - 694:17</p> <p><b>piece</b> [5] - 720:14, 761:13, 761:15, 762:1, 779:10</p> <p><b>pieces</b> [1] - 843:11</p> <p><b>Pierce</b> [2] - 829:20, 842:18</p> <p><b>piles</b> [1] - 683:20</p> <p><b>pinpoint</b> [1] - 661:2</p> <p><b>place</b> [8] - 673:11, 675:3, 690:3, 717:10, 740:1, 790:5, 797:9, 814:3</p> <p><b>Place</b> [1] - 641:14</p> <p><b>places</b> [1] - 851:19</p> <p><b>plain</b> [1] - 824:6</p> <p><b>Plan</b> [1] - 852:20</p> <p><b>plan</b> [9] - 675:11, 676:8, 679:7, 680:2, 729:13, 841:22, 851:23, 852:3, 852:6</p> <p><b>planned</b> [1] - 789:15</p> <p><b>planning</b> [6] - 810:9, 827:6, 827:8, 827:10, 827:11, 830:9</p> <p><b>Planning</b> [1] - 827:13</p> <p><b>plans</b> [2] - 685:20, 685:21</p> <p><b>play</b> [2] - 722:10, 751:24</p> <p><b>plays</b> [1] - 682:24</p> <p><b>pleas</b> [1] - 705:12</p> <p><b>Please</b> [3] - 654:8, 815:20, 839:6</p> <p><b>please</b> [23] - 642:20, 643:15, 643:19, 653:13, 653:15, 653:19, 654:2, 657:2, 686:2, 688:3, 688:19, 721:15, 724:2, 754:23, 787:19, 811:12, 815:18, 818:6, 818:9, 819:16, 820:8, 820:9, 822:12</p> <p><b>Plett</b> [1] - 643:6</p> <p><b>plows</b> [1] - 713:19</p> <p><b>plug</b> [1] - 795:11</p> <p><b>plus</b> [4] - 663:15, 706:1, 706:24, 789:17</p> <p><b>point</b> [69] - 642:19, 643:10, 644:12, 664:4, 664:12, 667:9, 671:2, 671:7, 677:11, 677:19, 689:8, 690:11, 690:13, 690:15, 691:5, 692:7, 693:18, 694:7, 694:17, 694:21, 695:15, 695:18, 697:13, 698:8, 698:13, 699:24, 700:3, 701:1, 701:7, 701:14, 701:15, 703:19, 706:15, 707:15, 707:20, 708:2, 708:12, 709:7, 709:12, 720:6, 727:24, 728:14, 729:8, 730:6, 732:9, 733:22, 734:17, 736:11, 746:5, 746:15, 747:23, 748:3, 754:12, 758:12, 764:6, 769:9, 781:20, 784:21, 786:5, 796:12, 814:16, 815:8, 818:20, 834:19, 845:8, 853:18, 853:20, 854:5, 855:3</p> <p><b>Point</b> [2] - 679:16</p> <p><b>points</b> [1] - 794:18</p> <p><b>pole</b> [8] - 683:4, 684:20, 712:18, 712:22, 712:23, 713:1, 714:12, 718:2</p> <p><b>pole-setting</b> [1] - 683:4</p> <p><b>poles</b> [11] - 678:21, 683:3, 683:17, 684:20, 690:23, 691:3, 693:3, 707:6, 709:24, 713:24, 717:20</p> <p><b>police</b> [2] - 724:18, 792:22</p> <p><b>policy</b> [2] - 805:14, 805:15</p> <p><b>Pond</b> [6] - 645:9, 645:11, 645:24, 646:11, 647:16, 647:20</p> <p><b>portion</b> [8] - 669:12, 695:6, 696:5, 697:9, 757:10, 786:14, 786:16, 808:3</p> <p><b>portions</b> [1] - 697:13</p> <p><b>posed</b> [1] - 782:18</p> <p><b>position</b> [4] - 653:22, 745:21, 841:20, 849:15</p> <p><b>positions</b> [2] - 729:15, 729:16</p> <p><b>possibilities</b> [1] - 800:23</p> <p><b>possible</b> [5] - 738:16, 781:5, 823:15, 823:18, 823:21</p> <p><b>possibly</b> [6] - 673:3, 674:17, 718:5, 748:2, 764:19, 841:1</p> <p><b>post</b> [2] - 677:1, 766:1</p> <p><b>post-January</b> [1] - 766:1</p> <p><b>posted</b> [1] - 733:19</p> <p><b>postmortem</b> [1] - 831:4</p> <p><b>potential</b> [2] - 823:16, 848:15</p> <p><b>potentially</b> [1] - 674:15</p> <p><b>Power</b> [7] - 640:12, 640:14, 642:18, 704:3, 835:4, 835:7</p> <p><b>power</b> [26] - 646:20, 657:9, 669:8, 670:3, 672:5, 700:24, 701:2, 741:17, 742:1, 742:24, 749:9, 755:6, 756:15, 757:11, 763:16, 781:1, 799:12, 802:15, 802:22, 802:23, 803:2, 808:6, 814:23, 824:22, 844:22, 848:4</p> <p><b>practice</b> [3] - 753:2, 833:1, 846:18</p> <p><b>practices</b> [6] - 834:11, 834:12, 834:15, 835:4, 840:10, 841:4</p> <p><b>precise</b> [1] - 785:9</p> <p><b>precisely</b> [1] - 781:17</p> <p><b>predominantly</b> [2] - 734:16, 738:6</p> <p><b>prefer</b> [1] - 722:12</p> <p><b>preference</b> [1] - 818:17</p> <p><b>Premier</b> [1] - 674:24</p> <p><b>premises</b> [1] - 734:14</p> <p><b>prep</b> [1] - 812:22</p> <p><b>preparation</b> [3] - 642:7, 684:23, 761:21</p> <p><b>prepare</b> [2] - 682:20, 684:4</p> <p><b>prepared</b> [5] - 675:6, 737:2, 784:21, 820:23, 849:15</p> <p><b>preparing</b> [6] - 682:19, 683:20, 685:6, 822:13, 825:15, 853:12</p> <p><b>preps</b> [2] - 811:4</p> <p><b>prepublication</b> [1] - 846:10</p> <p><b>present</b> [6] - 790:15, 790:18, 821:11, 822:21, 830:6, 830:11</p> <p><b>presentation</b> [3] - 823:12, 828:10, 838:5</p> <p><b>presentations</b> [4] - 834:23, 835:1, 838:23, 841:7</p> <p><b>presented</b> [1] - 825:2</p> <p><b>presents</b> [1] - 831:23</p> <p><b>preserve</b> [1] - 819:13</p> <p><b>president</b> [3] - 644:2, 644:4, 810:8</p> <p><b>press</b> [2] - 831:24, 840:4</p> <p><b>presume</b> [1] - 770:4</p> <p><b>Pretty</b> [1] - 646:24</p> <p><b>pretty</b> [2] - 658:12, 842:10</p> <p><b>previous</b> [3] - 662:14, 746:23, 770:23</p> <p><b>Previously</b> [2] - 654:17, 689:19</p> <p><b>previously</b> [3] - 662:17, 711:23, 763:21</p> <p><b>primarily</b> [3] - 728:3, 812:10, 835:15</p> <p><b>primary</b> [18] - 647:11, 668:6, 676:18, 676:23, 678:1, 688:17, 728:14, 730:9, 730:12, 730:23, 731:21, 731:22, 733:8, 733:12, 733:22, 739:17, 822:1</p> <p><b>primary-line</b> [1] - 668:6</p> <p><b>primary-line-level</b> [1] - 678:1</p> <p><b>Princeton</b> [1] - 646:14</p> <p><b>principal</b> [4] - 821:2, 829:2, 829:4, 829:6</p> <p><b>printed</b> [1] - 761:22</p> <p><b>prior</b> [9] - 653:2, 654:24, 655:8, 655:20, 677:2, 750:22, 766:8, 773:9, 781:8</p> <p><b>prioritize</b> [1] - 662:2</p> <p><b>prioritized</b> [3] - 847:3, 847:4, 847:14</p> <p><b>prioritizing</b> [1] - 647:10</p> <p><b>priority</b> [2] - 726:24, 847:16</p> <p><b>private</b> [2] - 703:1, 788:1</p> <p><b>proactive</b> [2] - 795:13, 796:3</p> <p><b>proactively</b> [2] - 777:16, 795:19</p> <p><b>probably</b> [21] - 648:14, 673:20, 674:21, 681:9, 684:15, 696:24, 697:13, 699:11, 710:20, 710:22, 745:4, 747:20, 772:17, 774:21, 787:13, 817:11, 835:23, 837:1, 844:24, 849:22, 851:11</p> <p><b>problem</b> [11] - 680:14, 686:19, 737:10, 741:7, 745:3, 746:8, 751:11, 772:20, 795:22, 795:23, 795:24</p> <p><b>problems</b> [14] - 657:7, 657:8, 680:18, 680:19, 680:22, 689:7, 690:13, 694:20, 696:4, 696:15, 773:2, 796:6, 796:9</p> <p><b>procedural</b> [2] - 819:13, 854:13</p> <p><b>procedure</b> [3] - 653:8, 767:22, 767:23</p> <p><b>procedures</b> [2] - 777:9, 814:2</p> <p><b>proceeded</b> [2] - 706:13, 715:24</p> <p><b>proceeding</b> [5] - 755:3, 820:18, 822:10, 826:20, 833:1</p> <p><b>proceedings</b> [7] -</p>	
--	--

<p>777:9, 813:5, 813:21, 818:15, 826:8, 855:10, 855:12</p> <p><b>proceeds</b> [1] - 728:17</p> <p><b>process</b> [31] - 650:14, 667:15, 675:5, 675:8, 726:9, 728:17, 729:4, 739:2, 739:4, 740:11, 746:18, 751:5, 751:21, 752:19, 753:24, 754:9, 771:22, 777:23, 778:6, 779:11, 780:10, 780:15, 780:18, 782:11, 784:12, 785:11, 786:12, 823:3, 824:20, 825:20, 830:17</p> <p><b>processes</b> [1] - 840:15</p> <p><b>produce</b> [4] - 753:5, 779:16, 779:17, 782:4</p> <p><b>productive</b> [1] - 715:19</p> <p><b>program</b> [4] - 673:10, 674:4, 750:18, 785:13</p> <p><b>programming</b> [1] - 817:11</p> <p><b>progress</b> [4] - 668:10, 714:19, 716:11, 739:20</p> <p><b>progressed</b> [4] - 672:24, 704:20, 735:6, 740:4</p> <p><b>progressing</b> [1] - 720:16</p> <p><b>project</b> [1] - 741:20</p> <p><b>projecting</b> [1] - 703:14</p> <p><b>projections</b> [2] - 741:22, 746:16</p> <p><b>properly</b> [1] - 852:6</p> <p><b>properties</b> [1] - 833:11</p> <p><b>provide</b> [39] - 645:1, 665:11, 676:17, 690:8, 698:7, 706:3, 706:6, 724:12, 728:9, 728:12, 730:15, 731:20, 733:8, 740:17, 744:18, 745:11, 745:14, 745:18, 745:22,</p>	<p>761:22, 772:8, 772:9, 777:23, 779:6, 782:9, 783:21, 798:12, 801:11, 815:21, 816:8, 817:12, 824:23, 825:2, 837:11, 842:1, 844:1, 844:10, 845:4, 847:13</p> <p><b>provided</b> [30] - 656:2, 658:1, 658:4, 665:11, 668:3, 670:14, 682:10, 684:7, 686:6, 706:5, 706:10, 706:12, 706:21, 708:9, 709:22, 735:8, 735:9, 741:2, 741:5, 750:17, 750:18, 771:6, 777:24, 778:19, 793:16, 793:21, 801:7, 808:18, 825:11</p> <p><b>provides</b> [1] - 784:8</p> <p><b>providing</b> [16] - 665:9, 666:20, 667:1, 705:24, 726:9, 726:18, 738:18, 739:16, 739:24, 778:5, 799:21, 800:23, 806:8, 843:5, 845:6, 851:22</p> <p><b>provision</b> [1] - 679:2</p> <p><b>PSA</b> [6] - 670:2, 726:9, 728:13, 761:9, 805:20, 821:16</p> <p><b>PSAs</b> [4] - 732:19, 732:20, 740:22, 796:8</p> <p><b>public</b> [43] - 652:20, 655:1, 656:6, 670:7, 670:14, 724:4, 733:17, 734:19, 736:12, 739:22, 740:6, 740:16, 741:9, 741:23, 742:17, 742:20, 742:24, 743:15, 743:17, 745:1, 777:21, 777:22, 778:1, 778:4, 778:9, 778:19, 797:4, 797:5, 797:11, 797:14, 814:22, 824:4, 831:24, 834:21, 834:22, 837:4, 837:17, 838:7, 838:18, 838:20, 838:24, 839:22, 840:7</p> <p><b>PUBLIC</b> [2] - 640:3, 640:5</p> <p><b>Public</b> [2] - 640:5,</p>	<p>642:6</p> <p><b>public-safety</b> [1] - 724:4</p> <p><b>publicly</b> [1] - 806:9</p> <p><b>published</b> [1] - 797:4</p> <p><b>pull</b> [3] - 662:7, 671:18, 844:24</p> <p><b>pulled</b> [1] - 678:15</p> <p><b>Purcell</b> [3] - 641:2, 642:24, 653:21</p> <p><b>PURCELL</b> [19] - 643:14, 643:18, 654:1, 654:12, 669:23, 671:22, 686:21, 687:1, 687:21, 688:2, 689:13, 754:17, 760:24, 762:7, 779:14, 852:17, 853:14, 856:9, 857:2</p> <p><b>purpose</b> [1] - 821:11</p> <p><b>purposely</b> [2] - 815:24, 816:2</p> <p><b>purposes</b> [7] - 648:18, 687:16, 725:3, 765:11, 779:21, 804:2, 820:7</p> <p><b>pursuant</b> [1] - 642:10</p> <p><b>put</b> [22] - 678:6, 678:10, 682:22, 683:18, 684:12, 700:11, 707:7, 708:20, 713:18, 715:6, 717:11, 738:5, 746:9, 760:3, 760:5, 771:11, 773:10, 801:17, 804:19, 843:20, 847:20, 849:8</p> <p><b>putting</b> [3] - 843:4, 843:13, 851:21</p>	<p>766:5, 770:13, 770:23, 776:15, 777:6, 777:15, 786:11, 799:19, 803:21, 806:17, 807:16, 811:11, 816:21, 823:21, 825:8, 843:23, 849:1, 852:23</p> <p><b>questioning</b> [4] - 654:13, 739:14, 748:19, 769:19</p> <p><b>questions</b> [29] - 645:4, 645:13, 645:15, 653:17, 689:14, 728:15, 748:1, 748:2, 748:22, 760:9, 765:10, 765:13, 769:20, 787:13, 797:16, 799:7, 800:18, 804:24, 828:12, 828:24, 840:22, 840:23, 842:3, 853:4, 853:10, 853:21, 854:8, 854:9</p> <p><b>quickly</b> [3] - 678:4, 680:15, 756:2</p> <p><b>quite</b> [3] - 670:5, 705:2, 845:5</p> <p><b>quote</b> [2] - 663:8, 750:19</p> <p><b>quote-unquote</b> [1] - 750:19</p> <p><b>quoted</b> [1] - 840:7</p>	<p><b>rather</b> [2] - 796:1, 808:7</p> <p><b>rationale</b> [1] - 756:3</p> <p><b>rationales</b> [1] - 756:2</p> <p><b>Raymond</b> [1] - 643:23</p> <p><b>RAYMOND</b> [6] - 644:8, 654:15, 689:16, 856:5, 856:11, 857:4</p> <p><b>RDR</b> [2] - 640:22, 855:23</p> <p><b>re</b> [1] - 717:14</p> <p><b>re-fuse</b> [1] - 717:14</p> <p><b>reach</b> [3] - 737:9, 799:14, 829:18</p> <p><b>reached</b> [4] - 685:4, 737:12, 741:19, 846:14</p> <p><b>reaction</b> [1] - 839:17</p> <p><b>reactive</b> [1] - 738:7</p> <p><b>read</b> [40] - 749:20, 750:8, 750:12, 750:23, 751:1, 752:2, 753:3, 759:19, 763:13, 763:24, 764:3, 764:6, 764:14, 764:17, 764:20, 764:21, 764:24, 770:17, 772:22, 773:3, 775:6, 802:18, 802:19, 808:16, 809:8, 821:24, 827:15, 827:17, 835:19, 836:8, 836:16, 838:4, 838:6, 839:2, 839:8, 840:4, 850:16, 852:14, 853:12</p> <p><b>reading</b> [42] - 750:10, 750:12, 750:13, 750:14, 750:16, 750:17, 750:20, 751:13, 752:1, 752:3, 753:6, 753:7, 754:1, 755:2, 755:16, 760:11, 763:18, 764:7, 767:12, 767:13, 769:10, 769:12, 770:5, 774:24, 785:5, 801:15, 802:1, 802:2, 802:8, 803:3, 803:4, 805:5, 808:12, 809:1, 809:12, 822:4, 841:7, 847:10, 852:19, 853:16</p>
<b>R</b>				
<p><b>R</b> [7] - 642:2, 644:7, 654:14, 689:15, 856:4, 856:10, 857:3</p> <p><b>Radio</b> [1] - 666:19</p> <p><b>radio</b> [1] - 667:24</p> <p><b>raised</b> [1] - 819:7</p> <p><b>ran</b> [1] - 837:16</p> <p><b>randomly</b> [1] - 747:13</p> <p><b>rang</b> [1] - 725:19</p> <p><b>rate</b> [7] - 753:13, 763:23, 764:11, 781:11, 793:11, 793:18, 854:17</p> <p><b>ratemaking</b> [3] - 786:12, 787:3, 787:10</p> <p><b>Rates</b> [3] - 640:15, 748:14, 748:17</p> <p><b>Rather</b> [2] - 713:20, 844:10</p>				
<b>Q</b>				
<p><b>qualified</b> [1] - 852:9</p> <p><b>quality</b> [3] - 854:15, 854:20, 854:22</p> <p><b>query</b> [1] - 817:12</p> <p><b>question</b> [39] - 650:19, 652:22, 655:21, 656:18, 659:16, 661:22, 678:3, 679:1, 680:7, 681:7, 702:23, 711:24, 716:3, 721:7, 727:7, 740:14, 741:1, 743:10, 743:12, 743:22, 745:19,</p>				

<p><b>readings</b> [10] - 751:23, 752:16, 755:22, 763:11, 772:2, 773:15, 775:7, 775:8, 800:11, 800:21</p> <p><b>reads</b> [7] - 749:9, 750:6, 757:22, 764:7, 766:20, 775:9, 800:12</p> <p><b>ready</b> [5] - 643:13, 844:24, 849:23, 849:24, 850:1</p> <p><b>real</b> [1] - 740:17</p> <p><b>Realistically</b> [1] - 648:12</p> <p><b>reality</b> [3] - 680:8, 680:22, 700:10</p> <p><b>realize</b> [3] - 722:13, 758:3, 838:19</p> <p><b>realized</b> [1] - 730:7</p> <p><b>really</b> [34] - 645:24, 718:7, 719:20, 720:5, 733:5, 737:10, 742:1, 742:14, 742:21, 745:8, 758:17, 800:18, 807:13, 822:17, 824:5, 824:12, 824:15, 824:24, 825:3, 825:21, 827:1, 827:12, 827:16, 831:7, 833:12, 834:15, 834:16, 835:14, 838:24, 839:6, 844:5, 845:23, 846:2, 848:22</p> <p><b>reason</b> [11] - 733:9, 749:19, 750:16, 771:20, 797:13, 814:21, 822:18, 824:7, 844:15, 846:12, 847:12</p> <p><b>reasonable</b> [4] - 724:10, 776:22, 842:6, 845:15</p> <p><b>reasons</b> [1] - 849:14</p> <p><b>rebill</b> [2] - 808:6, 808:10</p> <p><b>rebuild</b> [2] - 719:3, 719:12</p> <p><b>recall</b> [27] - 680:16, 683:10, 697:10, 699:19, 700:22, 709:8, 746:13, 761:10, 778:20, 779:8, 779:11, 793:22, 805:17, 805:19, 805:23,</p>	<p>806:4, 813:17, 826:8, 833:2, 833:5, 833:8, 836:17, 836:20, 841:20, 843:23, 846:5, 852:23</p> <p><b>receive</b> [11] - 723:2, 737:6, 756:12, 763:20, 766:10, 796:2, 800:16, 807:7, 807:8, 826:17, 842:8</p> <p><b>received</b> [26] - 703:24, 756:18, 757:8, 764:14, 764:23, 767:20, 770:2, 774:23, 775:21, 776:1, 786:15, 786:17, 790:24, 792:17, 793:8, 800:10, 803:8, 807:5, 807:9, 807:10, 807:12, 814:21, 814:23, 816:17, 825:18, 851:6</p> <p><b>receiving</b> [7] - 732:6, 756:4, 756:9, 757:17, 760:11, 771:13, 807:24</p> <p><b>recent</b> [2] - 676:10, 763:15</p> <p><b>recently</b> [1] - 676:15</p> <p><b>Recess</b> [3] - 687:4, 748:5, 818:7</p> <p><b>recognize</b> [5] - 681:12, 768:10, 781:19, 783:10, 815:9</p> <p><b>recognized</b> [2] - 768:7, 795:12</p> <p><b>recognizing</b> [1] - 720:15</p> <p><b>recollection</b> [3] - 733:1, 779:4, 813:19</p> <p><b>recollections</b> [1] - 824:11</p> <p><b>Recommendation</b> [1] - 673:6</p> <p><b>recommendation</b> [14] - 806:6, 823:17, 823:23, 844:6, 844:11, 844:12, 844:17, 845:7, 845:10, 847:17, 848:14, 849:4, 849:5, 849:7</p> <p><b>recommendations</b> [31] - 795:6, 825:19, 825:20, 830:13, 831:10, 831:16, 831:17, 831:18,</p>	<p>832:6, 841:23, 842:14, 842:22, 843:3, 843:15, 843:16, 844:9, 846:5, 847:16, 848:1, 848:5, 848:7, 848:9, 848:21, 849:10, 849:19, 849:20, 850:12, 850:15, 850:20, 851:5, 851:23</p> <p><b>reconcile</b> [2] - 753:9, 753:18</p> <p><b>reconciled</b> [1] - 760:10</p> <p><b>reconciliation</b> [1] - 787:7</p> <p><b>reconfigure</b> [1] - 689:8</p> <p><b>reconvene</b> [1] - 722:20</p> <p><b>RECORD</b> [1] - 858:12</p> <p><b>Record</b> [9] - 656:7, 656:9, 782:14, 782:16, 815:20, 818:4, 858:13, 858:14, 858:15</p> <p><b>record</b> [66] - 642:20, 643:16, 648:6, 651:7, 653:12, 653:14, 653:15, 655:17, 656:1, 656:11, 656:19, 656:24, 657:1, 657:2, 663:1, 686:2, 686:8, 686:10, 686:12, 686:15, 687:3, 687:5, 688:5, 688:21, 710:4, 748:3, 748:6, 754:21, 754:22, 754:23, 760:17, 761:8, 762:10, 762:11, 762:12, 765:5, 765:7, 765:8, 765:9, 779:1, 779:4, 779:7, 780:14, 782:7, 782:17, 783:23, 784:13, 798:18, 818:6, 818:8, 819:5, 819:9, 819:12, 819:18, 820:1, 821:19, 822:7, 822:16, 829:10, 852:18, 853:24, 854:2, 854:3, 855:4, 855:11</p> <p><b>recorded</b> [2] - 783:19, 801:6</p> <p><b>recording</b> [1] -</p>	<p>791:17</p> <p><b>recordings</b> [2] - 791:14, 791:19</p> <p><b>records</b> [2] - 684:2, 818:14</p> <p><b>recurrence</b> [1] - 849:12</p> <p><b>reduction</b> [1] - 784:6</p> <p><b>redundant</b> [4] - 646:7, 646:19, 647:1, 700:13</p> <p><b>reenergized</b> [4] - 669:13, 669:14, 695:12, 696:8</p> <p><b>refer</b> [6] - 648:16, 663:6, 673:5, 686:11, 763:2, 852:10</p> <p><b>reference</b> [8] - 670:6, 738:19, 761:10, 774:7, 777:20, 818:14, 854:15, 855:1</p> <p><b>referenced</b> [1] - 854:21</p> <p><b>referred</b> [8] - 680:20, 726:12, 732:22, 736:12, 788:9, 805:20, 822:16</p> <p><b>referring</b> [5] - 651:8, 685:24, 783:2, 784:2, 787:23</p> <p><b>reflect</b> [5] - 763:20, 809:4, 809:7, 809:8, 826:16</p> <p><b>reflected</b> [1] - 780:24</p> <p><b>refrigerators</b> [1] - 801:1</p> <p><b>regain</b> [1] - 746:17</p> <p><b>regard</b> [1] - 833:3</p> <p><b>regarding</b> [14] - 653:18, 698:15, 724:19, 760:1, 761:3, 762:16, 763:14, 776:3, 787:14, 796:6, 799:10, 828:15, 835:17, 851:23</p> <p><b>regards</b> [1] - 793:6</p> <p><b>region</b> [1] - 664:9</p> <p><b>regular</b> [7] - 712:20, 713:5, 736:8, 798:21, 808:11, 817:6, 843:2</p> <p><b>regulatory</b> [6] - 643:2, 782:22, 783:1, 826:7, 835:16, 836:6</p> <p><b>relate</b> [1] - 775:15</p> <p><b>related</b> [6] - 673:17, 748:11, 782:11, 844:5, 844:19, 848:20</p>	<p><b>relates</b> [2] - 840:10, 841:4</p> <p><b>relating</b> [2] - 774:8, 841:3</p> <p><b>relations</b> [2] - 759:9, 787:15</p> <p><b>relationship</b> [1] - 751:14</p> <p><b>relationships</b> [1] - 826:12</p> <p><b>relatively</b> [2] - 680:15, 844:22</p> <p><b>release</b> [1] - 706:8</p> <p><b>releasing</b> [1] - 652:3</p> <p><b>relevance</b> [1] - 847:2</p> <p><b>relevant</b> [4] - 821:17, 834:5, 837:10, 843:22</p> <p><b>relied</b> [3] - 675:22, 824:10, 841:6</p> <p><b>relies</b> [2] - 717:1, 845:12</p> <p><b>relocate</b> [1] - 664:11</p> <p><b>rely</b> [2] - 796:2, 840:20</p> <p><b>relying</b> [4] - 719:15, 740:16, 840:18, 845:24</p> <p><b>remain</b> [1] - 826:9</p> <p><b>remained</b> [2] - 689:11, 825:4</p> <p><b>remaining</b> [1] - 715:8</p> <p><b>remarkable</b> [1] - 824:13</p> <p><b>remember</b> [12] - 699:16, 708:22, 709:19, 711:12, 735:11, 777:19, 796:11, 796:12, 805:16, 834:9, 846:6, 846:8</p> <p><b>remind</b> [1] - 644:11</p> <p><b>reminding</b> [1] - 796:14</p> <p><b>remotely</b> [2] - 652:9, 758:14</p> <p><b>removed</b> [2] - 714:2</p> <p><b>rendered</b> [1] - 804:8</p> <p><b>rep</b> [2] - 793:10, 801:13</p> <p><b>repair</b> [12] - 659:11, 663:3, 665:4, 710:1, 711:17, 712:19, 712:24, 716:20, 717:1, 718:4, 718:9, 720:11</p> <p><b>repaired</b> [1] - 710:15</p> <p><b>repairing</b> [1] -</p>
---	--	---	---	--

<p>712:23  <b>repairs</b> [6] - 684:1, 685:20, 712:20, 717:10, 718:6, 718:9  <b>repeat</b> [1] - 721:15  <b>rephrase</b> [1] - 702:23  <b>replace</b> [2] - 705:11, 712:18  <b>Report</b> [1] - 822:18  <b>report</b> [84] - 658:4, 658:19, 663:7, 670:13, 671:22, 673:5, 673:7, 709:20, 709:21, 736:15, 755:2, 777:19, 777:20, 778:17, 787:17, 789:6, 790:21, 791:5, 794:7, 796:2, 797:24, 798:8, 805:1, 817:6, 820:17, 821:2, 822:14, 822:15, 822:17, 822:22, 823:11, 823:14, 823:19, 824:1, 824:2, 824:4, 824:8, 824:10, 824:21, 825:12, 825:13, 825:15, 825:16, 825:18, 825:21, 827:21, 827:23, 829:3, 830:13, 831:10, 831:22, 834:16, 834:21, 834:24, 835:19, 837:9, 841:13, 841:14, 841:15, 841:16, 841:17, 841:18, 841:24, 842:10, 842:16, 842:23, 843:6, 843:10, 845:8, 845:13, 846:7, 847:3, 847:5, 847:7, 847:8, 847:10, 847:17, 848:22, 849:13, 850:3, 851:21, 852:2  <b>reported</b> [3] - 689:10, 727:23, 733:9  <b>REPORTER</b> [1] - 779:18  <b>Reporter</b> [1] - 640:22  <b>REPORTER'S</b> [1] - 855:8  <b>reporting</b> [4] - 693:10, 735:22, 786:23, 799:19  <b>reports</b> [13] - 667:14, 690:5, 690:22, 693:7,</p>	<p>693:8, 693:15, 827:16, 827:18, 827:22, 840:4, 840:7, 854:20, 854:22  <b>represent</b> [2] - 773:18, 775:6  <b>representative</b> [10] - 771:8, 773:15, 789:10, 789:16, 790:6, 803:5, 803:24, 804:4, 811:8, 812:21  <b>representatives</b> [22] - 656:5, 765:4, 776:20, 788:20, 789:1, 789:13, 789:20, 790:4, 790:7, 790:13, 790:19, 798:3, 798:4, 799:21, 800:20, 800:22, 801:5, 801:17, 803:13, 803:18, 804:19, 808:2  <b>representatives'</b> [1] - 757:6  <b>represented</b> [11] - 771:1, 771:3, 773:19, 773:22, 799:22, 800:6, 800:7, 807:23, 808:4, 811:7  <b>reps</b> [1] - 806:7  <b>request</b> [32] - 648:7, 655:17, 656:1, 656:11, 670:11, 673:15, 686:5, 692:8, 702:13, 702:19, 728:10, 736:17, 736:19, 738:15, 738:18, 754:13, 782:7, 782:17, 783:24, 793:19, 793:21, 798:23, 798:24, 799:1, 816:8, 816:9, 819:1, 824:24, 825:9, 850:15, 853:6  <b>Request</b> [10] - 656:7, 656:9, 782:14, 782:16, 815:20, 818:4, 852:24, 858:13, 858:14, 858:15  <b>requesting</b> [2] - 682:6, 739:23  <b>requests</b> [5] - 686:7, 727:19, 737:21, 738:1, 798:7  <b>REQUESTS</b> [1] - 858:12  <b>require</b> [1] - 652:9</p>	<p><b>required</b> [6] - 703:21, 785:21, 790:3, 798:10, 799:16, 814:9  <b>Requirements</b> [3] - 640:16, 748:15, 748:17  <b>requirements</b> [1] - 674:3  <b>rescue</b> [1] - 743:19  <b>research</b> [3] - 738:21, 833:20, 840:21  <b>reserved</b> [3] - 788:2, 788:5, 842:19  <b>reset</b> [4] - 753:6, 753:19, 753:20, 754:4  <b>resets</b> [1] - 753:4  <b>residential</b> [1] - 752:20  <b>residual</b> [1] - 770:11  <b>resisted</b> [1] - 843:5  <b>resolution</b> [1] - 795:7  <b>resolved</b> [1] - 662:13  <b>resource</b> [2] - 726:2, 726:17  <b>resources</b> [24] - 666:9, 672:7, 682:3, 690:1, 692:3, 698:14, 698:15, 698:19, 702:24, 703:20, 705:15, 706:2, 706:18, 707:5, 707:11, 707:19, 720:19, 729:5, 733:8, 737:19, 744:8, 744:10, 785:22, 785:24  <b>respect</b> [4] - 821:13, 830:22, 835:21, 848:9  <b>respond</b> [11] - 660:13, 661:9, 682:3, 726:23, 727:19, 732:23, 737:20, 737:24, 818:12, 819:3, 836:3  <b>responded</b> [5] - 650:16, 673:16, 799:10, 826:6, 853:10  <b>responder</b> [2] - 725:8, 734:21  <b>responders</b> [5] - 655:4, 724:17, 725:3, 726:14, 728:5  <b>responding</b> [3] - 659:5, 661:9, 727:3</p>	<p><b>response</b> [40] - 642:7, 648:7, 669:24, 670:11, 686:1, 726:4, 732:12, 743:3, 749:12, 754:6, 755:1, 757:6, 769:16, 771:7, 773:8, 773:12, 775:19, 775:23, 776:3, 776:9, 780:4, 780:14, 783:23, 784:7, 786:1, 793:16, 799:3, 806:3, 806:18, 807:16, 807:17, 807:19, 810:22, 810:23, 812:6, 812:18, 817:22, 820:16, 833:21, 835:7  <b>Response</b> [2] - 770:21, 852:10  <b>responses</b> [10] - 705:13, 736:24, 755:3, 820:19, 820:21, 820:23, 821:6, 825:10, 836:7, 850:15  <b>responsibilities</b> [7] - 652:18, 662:1, 724:9, 724:11, 728:6, 730:20, 731:14  <b>responsible</b> [6] - 656:19, 731:15, 839:16, 841:21, 841:23, 849:3  <b>rest</b> [4] - 643:9, 646:2, 744:15, 842:19  <b>Restoration</b> [1] - 821:24  <b>restoration</b> [78] - 645:5, 647:10, 647:22, 649:2, 650:1, 651:12, 651:15, 653:18, 654:11, 661:21, 663:23, 664:3, 664:10, 666:5, 666:8, 667:18, 671:12, 671:14, 676:8, 676:13, 677:12, 682:1, 682:17, 688:16, 690:5, 691:8, 701:18, 703:4, 703:6, 703:14, 707:17, 708:1, 708:10, 711:20, 712:14, 713:14, 714:2, 714:19, 715:3, 716:11, 720:21, 724:16, 724:22, 726:10, 726:19,</p>	<p>727:6, 728:8, 728:13, 728:17, 728:22, 729:7, 729:13, 729:17, 729:19, 729:21, 734:18, 739:17, 740:2, 741:21, 744:11, 746:9, 746:11, 758:4, 766:18, 766:19, 786:1, 797:20, 821:13, 821:17, 821:21, 821:23, 830:23, 831:5, 834:13, 839:23, 841:5, 844:19  <b>restorations</b> [1] - 725:1  <b>restore</b> [6] - 652:14, 700:12, 708:15, 743:15, 826:12  <b>restored</b> [21] - 669:9, 670:4, 672:6, 695:5, 696:22, 697:5, 697:8, 700:21, 702:4, 708:5, 708:7, 711:3, 711:15, 711:23, 736:20, 740:22, 741:17, 742:2, 799:12, 802:23, 824:23  <b>restoring</b> [5] - 680:15, 695:14, 695:19, 830:18, 848:3  <b>result</b> [3] - 766:11, 832:18, 850:11  <b>results</b> [1] - 835:17  <b>resume</b> [1] - 820:14  <b>resumed</b> [2] - 813:13, 813:16  <b>return</b> [3] - 647:22, 667:17, 681:24  <b>Returning</b> [1] - 676:1  <b>Revenue</b> [3] - 640:16, 748:14, 748:17  <b>revenue</b> [11] - 780:9, 780:18, 780:19, 781:24, 782:21, 782:23, 783:11, 783:13, 783:19, 784:3, 784:7  <b>revenues</b> [9] - 781:4, 781:15, 781:19, 783:4, 783:5, 783:15, 783:16, 786:15, 786:16  <b>review</b> [3] - 834:14, 849:9, 854:20</p>
---	---	--	--	--

<p><b>reviewed</b> [2] - 708:8, 773:8</p> <p><b>reviews</b> [1] - 824:21</p> <p><b>revision</b> [1] - 676:11</p> <p><b>revisions</b> [1] - 821:5</p> <p><b>rgoulet@dl.com</b> [1] - 641:6</p> <p><b>Rich</b> [1] - 643:21</p> <p><b>RICHARD</b> [6] - 644:9, 654:16, 689:17, 856:5, 856:11, 857:4</p> <p><b>Richard</b> [1] - 829:15</p> <p><b>right</b> [15] - 642:16, 678:7, 678:9, 679:18, 681:18, 705:6, 717:24, 723:21, 762:2, 768:6, 776:15, 784:22, 806:12, 845:17, 850:14</p> <p><b>Right</b> [8] - 659:10, 691:11, 697:7, 771:18, 809:14, 815:3, 816:19, 831:21</p> <p><b>right-of-way</b> [1] - 679:18</p> <p><b>rights</b> [1] - 819:13</p> <p><b>ring</b> [2] - 645:23, 734:6</p> <p><b>River</b> [1] - 646:13</p> <p><b>road</b> [9] - 668:14, 680:20, 685:2, 685:3, 714:10, 715:1, 718:19, 803:22</p> <p><b>Road</b> [2] - 646:14, 820:3</p> <p><b>Roads</b> [1] - 672:22</p> <p><b>roads</b> [2] - 669:1, 718:14</p> <p><b>roadways</b> [1] - 693:16</p> <p><b>ROBERT</b> [2] - 819:21, 858:3</p> <p><b>Robert</b> [3] - 641:3, 819:19, 820:11</p> <p><b>role</b> [15] - 654:8, 664:2, 688:11, 688:15, 689:2, 689:7, 721:20, 731:22, 733:12, 733:16, 797:17, 797:22, 822:13, 822:19, 826:19</p> <p><b>roles</b> [3] - 659:4, 659:15, 660:10</p> <p><b>rolled</b> [2] - 651:3, 699:16</p>	<p><b>room</b> [9] - 655:5, 655:10, 723:23, 728:9, 736:4, 738:23, 812:10, 826:23, 837:7</p> <p><b>rotation</b> [1] - 731:19</p> <p><b>rough</b> [1] - 824:13</p> <p><b>roughly</b> [1] - 771:1</p> <p><b>round</b> [2] - 666:8, 771:8</p> <p><b>routes</b> [1] - 738:16</p> <p><b>row</b> [1] - 807:8</p> <p><b>rule</b> [2] - 659:18, 819:2</p> <p><b>rules</b> [1] - 813:24</p> <p><b>ruling</b> [1] - 818:24</p> <p><b>run</b> [3] - 674:1, 817:11, 834:12</p> <p><b>running</b> [3] - 667:11, 713:21, 714:15</p>	<p><b>S</b></p> <p><b>S</b> [1] - 642:2</p> <p><b>safe</b> [1] - 733:22</p> <p><b>Safes</b> [1] - 684:22</p> <p><b>safety</b> [6] - 652:20, 656:6, 695:16, 714:10, 724:4, 724:13</p> <p><b>said</b> [33] - 657:11, 662:6, 667:12, 692:11, 704:22, 708:13, 709:14, 710:9, 718:12, 721:5, 734:22, 740:2, 752:14, 754:3, 756:9, 758:21, 760:18, 764:2, 766:6, 774:20, 776:9, 794:12, 808:5, 815:23, 821:12, 834:6, 834:7, 834:8, 834:18, 842:2, 848:12, 853:3</p> <p><b>Salem</b> [1] - 833:10</p> <p><b>same</b> [30] - 659:4, 662:24, 668:22, 674:1, 718:23, 724:11, 746:6, 770:21, 774:16, 774:21, 774:22, 775:2, 775:6, 775:8, 775:9, 777:1, 778:5, 779:10, 781:8, 786:21, 788:24, 792:8, 794:22, 816:5, 816:8, 816:9, 824:7, 828:3, 845:24</p> <p><b>Sandra</b> [1] - 643:7</p>	<p><b>Sarah</b> [3] - 829:20, 830:10, 842:18</p> <p><b>satisfactorily</b> [1] - 732:1</p> <p><b>satisfactory</b> [3] - 739:24, 740:11, 745:18</p> <p><b>satisfied</b> [1] - 840:24</p> <p><b>satisfies</b> [1] - 745:23</p> <p><b>satisfy</b> [1] - 746:2</p> <p><b>Saturday</b> [20] - 683:11, 683:24, 699:13, 699:23, 699:24, 700:17, 700:21, 700:23, 703:24, 704:21, 705:5, 705:9, 727:23, 729:6, 730:22, 733:9, 733:12, 734:3, 735:12, 741:18</p> <p><b>save</b> [1] - 746:21</p> <p><b>saw</b> [5] - 683:20, 767:7, 793:17, 839:2, 853:9</p> <p><b>say</b> [68] - 645:3, 647:12, 647:13, 650:6, 652:8, 655:9, 656:14, 658:24, 659:9, 663:10, 666:14, 668:5, 668:12, 669:4, 671:17, 672:13, 681:11, 682:13, 696:12, 702:6, 710:4, 712:17, 712:22, 718:2, 719:18, 720:1, 720:11, 720:12, 723:18, 725:5, 725:20, 733:11, 733:15, 733:22, 739:1, 740:23, 741:17, 742:4, 742:8, 743:16, 744:4, 745:21, 746:2, 757:5, 766:22, 767:17, 767:18, 769:1, 769:8, 773:17, 775:5, 784:24, 786:14, 792:21, 795:22, 797:23, 807:3, 811:3, 827:1, 828:14, 831:20, 838:19, 840:11, 843:14, 846:23, 849:11, 851:3</p> <p><b>saying</b> [12] - 668:16, 701:20, 720:14, 744:11, 745:13, 766:1, 802:14,</p>	<p>803:16, 803:21, 803:24, 839:7, 840:6</p> <p><b>says</b> [5] - 658:21, 663:8, 673:7, 791:15, 851:2</p> <p><b>scenario</b> [1] - 746:6</p> <p><b>scene</b> [1] - 661:11</p> <p><b>schedule</b> [3] - 735:15, 752:1, 752:3</p> <p><b>scheduled</b> [1] - 750:14</p> <p><b>schedules</b> [3] - 751:13, 752:2, 752:15</p> <p><b>Schoenberger</b> [8] - 761:7, 823:1, 823:2, 825:4, 843:1, 850:7, 850:22, 851:4</p> <p><b>Schoenberger's</b> [1] - 777:17</p> <p><b>scope</b> [4] - 681:4, 681:18, 693:18</p> <p><b>Scott</b> [2] - 641:2, 642:23</p> <p><b>scratch</b> [1] - 719:4</p> <p><b>Seacoast</b> [3] - 664:6, 664:9, 694:9</p> <p><b>season</b> [2] - 849:11, 849:16</p> <p><b>second</b> [13] - 673:4, 673:7, 690:21, 699:20, 703:22, 729:6, 738:2, 741:12, 762:8, 765:6, 816:22, 820:12, 829:19</p> <p><b>secondary</b> [2] - 796:23, 797:8</p> <p><b>Secondly</b> [1] - 687:17</p> <p><b>seconds</b> [1] - 789:20</p> <p><b>Section</b> [4] - 670:13, 670:14, 676:9, 807:17</p> <p><b>section</b> [3] - 717:11, 718:1, 853:3</p> <p><b>Sections</b> [1] - 642:11</p> <p><b>sections</b> [6] - 717:18, 718:3, 831:21, 831:22, 847:7, 847:8</p> <p><b>see</b> [37] - 658:21, 679:19, 679:22, 717:6, 733:14, 739:20, 742:14, 759:20, 760:2, 762:1, 768:4, 769:10, 773:10, 773:21, 774:6, 775:23, 793:17, 800:10,</p>	<p>800:17, 801:3, 803:3, 817:18, 825:16, 826:7, 826:10, 827:23, 828:1, 836:2, 836:9, 840:6, 844:8, 845:15, 848:6, 848:11, 853:6, 855:4</p> <p><b>seeing</b> [6] - 691:2, 692:24, 693:16, 761:2, 784:10, 803:4</p> <p><b>seek</b> [1] - 720:19</p> <p><b>seeking</b> [3] - 705:17, 744:8, 745:23</p> <p><b>seeded</b> [2] - 758:15, 851:19</p> <p><b>seems</b> [2] - 652:5, 660:13</p> <p><b>seen</b> [10] - 673:11, 678:13, 678:14, 678:18, 678:20, 681:2, 694:5, 714:8, 852:1, 853:11</p> <p><b>selected</b> [2] - 747:13, 806:13</p> <p><b>Selectmen</b> [1] - 839:14</p> <p><b>self</b> [19] - 663:7, 673:5, 673:6, 751:20, 755:2, 791:4, 794:12, 796:16, 820:17, 822:13, 822:15, 823:7, 829:2, 830:15, 830:16, 834:1, 841:12, 841:14, 841:18</p> <p><b>Self</b> [1] - 822:18</p> <p><b>self-assessment</b> [15] - 663:7, 673:5, 673:6, 751:20, 755:2, 794:12, 796:16, 820:17, 822:13, 822:15, 830:15, 834:1, 841:12, 841:14, 841:18</p> <p><b>Self-Assessment</b> [1] - 822:18</p> <p><b>send</b> [9] - 706:19, 713:17, 756:5, 761:6, 770:9, 801:18, 810:13, 810:19, 814:10</p> <p><b>sending</b> [8] - 661:8, 705:9, 777:12, 814:15, 815:6, 816:1, 816:2</p> <p><b>sends</b> [2] - 770:14, 814:4</p>
---	--	---	---	---	---



<p><b>senior</b> [5] - 644:1, 644:3, 723:8, 723:9, 741:23</p> <p><b>Senior</b> [1] - 723:11</p> <p><b>sense</b> [16] - 644:20, 651:2, 657:4, 669:16, 672:10, 744:14, 783:3, 784:16, 786:9, 804:14, 816:14, 818:2, 839:18, 840:17, 847:9, 851:8</p> <p><b>sent</b> [12] - 655:2, 678:12, 713:23, 751:22, 755:3, 755:14, 770:24, 780:8, 782:12, 802:1, 815:10, 815:14</p> <p><b>sentence</b> [9] - 673:7, 754:18, 754:19, 781:5, 821:16, 821:22, 821:24, 822:5, 851:1</p> <p><b>sentiments</b> [2] - 828:15, 838:9</p> <p><b>Sentinel</b> [1] - 840:5</p> <p><b>separate</b> [6] - 761:13, 761:15, 762:1, 771:24, 793:5, 851:24</p> <p><b>separated</b> [1] - 775:10</p> <p><b>September</b> [1] - 832:21</p> <p><b>sequence</b> [3] - 652:1, 652:2, 805:22</p> <p><b>sequential</b> [1] - 744:11</p> <p><b>sequentially</b> [1] - 847:6</p> <p><b>serve</b> [8] - 644:23, 648:18, 662:19, 662:22, 696:24, 721:13, 726:2, 747:4</p> <p><b>served</b> [3] - 645:16, 730:8, 747:8</p> <p><b>Service</b> [1] - 641:8</p> <p><b>service</b> [67] - 645:12, 646:2, 646:9, 646:20, 649:3, 650:4, 651:17, 655:1, 656:22, 657:13, 658:9, 659:2, 661:21, 663:4, 663:23, 664:3, 665:1, 669:9, 670:8, 670:15, 676:17, 678:19, 687:9, 691:4, 692:17, 701:9, 702:1, 721:19,</p>	<p>726:22, 736:20, 757:1, 757:6, 763:6, 763:16, 767:12, 767:15, 767:16, 772:8, 772:9, 774:13, 775:16, 776:20, 785:9, 787:8, 788:19, 789:18, 790:4, 790:6, 793:10, 796:23, 797:2, 797:8, 798:4, 799:21, 803:23, 804:18, 808:1, 830:18, 838:2, 845:4, 845:6, 845:16, 854:15, 854:20, 854:22</p> <p><b>service-quality</b> [3] - 854:15, 854:20, 854:22</p> <p><b>service-representative</b> [1] - 790:6</p> <p><b>services</b> [15] - 644:4, 644:6, 676:21, 688:7, 698:6, 727:17, 727:21, 728:1, 731:20, 735:14, 735:19, 833:4, 845:12, 845:14, 845:23</p> <p><b>serving</b> [7] - 649:12, 652:19, 702:2, 721:17, 721:21, 728:2, 797:1</p> <p><b>set</b> [10] - 699:16, 699:19, 699:20, 707:6, 713:24, 714:12, 751:19, 761:4, 823:7, 839:16</p> <p><b>Set</b> [2] - 852:24, 853:9</p> <p><b>sets</b> [1] - 675:12</p> <p><b>setting</b> [2] - 683:4, 684:23</p> <p><b>several</b> [10] - 662:5, 693:12, 693:14, 705:13, 711:14, 727:12, 745:4, 791:16, 834:9, 848:5</p> <p><b>severe</b> [1] - 836:18</p> <p><b>severity</b> [1] - 742:6</p> <p><b>Shapiro</b> [1] - 829:13</p> <p><b>share</b> [5] - 801:14, 824:15, 843:1, 843:3, 846:13</p> <p><b>shared</b> [6] - 801:7, 823:5, 823:8, 837:20,</p>	<p>850:2, 850:10</p> <p><b>shares</b> [1] - 828:14</p> <p><b>sharing</b> [1] - 843:10</p> <p><b>Shashi</b> [2] - 640:17, 642:17</p> <p><b>She</b> [2] - 731:18, 839:6</p> <p><b>she</b> [6] - 721:13, 731:17, 732:1, 732:5, 839:11, 839:12</p> <p><b>she'll</b> [1] - 643:8</p> <p><b>She's</b> [3] - 655:23, 829:20, 829:23</p> <p><b>sheets</b> [1] - 779:9</p> <p><b>shield</b> [1] - 678:14</p> <p><b>shift</b> [2] - 658:7, 715:5</p> <p><b>shifted</b> [1] - 733:23</p> <p><b>shifts</b> [3] - 648:8, 648:11, 648:13</p> <p><b>short</b> [3] - 789:8, 799:23, 800:7</p> <p><b>short-lived</b> [1] - 799:23</p> <p><b>shortcomings</b> [1] - 825:24</p> <p><b>Should</b> [1] - 819:11</p> <p><b>should</b> [17] - 729:8, 729:24, 735:1, 735:4, 735:5, 756:20, 783:19, 815:10, 819:8, 821:24, 822:24, 824:1, 832:6, 834:16, 839:7, 839:24</p> <p><b>shouldn't</b> [1] - 775:1</p> <p><b>show</b> [2] - 760:24, 820:5</p> <p><b>shown</b> [1] - 676:11</p> <p><b>shows</b> [2] - 803:8, 806:22</p> <p><b>shut</b> [6] - 816:6, 816:11, 816:12, 816:13, 816:18, 817:9</p> <p><b>shutoff</b> [15] - 777:12, 777:13, 813:22, 814:4, 814:7, 814:12, 814:13, 814:16, 814:24, 815:6, 815:13, 815:21, 816:1, 816:2, 817:8</p> <p><b>side</b> [16] - 645:10, 679:20, 717:8, 717:14, 737:11, 753:8, 753:9, 771:3, 771:5, 771:24, 772:6, 772:21, 774:4, 774:14, 779:9</p>	<p><b>Siemens</b> [2] - 795:8, 795:16</p> <p><b>signal</b> [1] - 791:19</p> <p><b>signals</b> [3] - 791:12, 794:15, 795:1</p> <p><b>signatory</b> [2] - 833:17, 833:18</p> <p><b>signed</b> [1] - 840:5</p> <p><b>significant</b> [8] - 712:6, 718:9, 724:23, 744:5, 827:20, 833:1, 850:21, 852:3</p> <p><b>significantly</b> [2] - 715:21, 833:13</p> <p><b>similar</b> [5] - 690:17, 703:13, 705:19, 717:2, 778:1</p> <p><b>simply</b> [5] - 656:20, 667:11, 729:8, 736:19, 785:15</p> <p><b>simultaneous</b> [1] - 789:4</p> <p><b>simultaneously</b> [3] - 729:9, 792:17, 794:22</p> <p><b>Since</b> [1] - 829:17</p> <p><b>since</b> [4] - 681:7, 692:18, 824:22, 850:3</p> <p><b>single</b> [6] - 718:16, 730:22, 785:4, 817:20, 844:6</p> <p><b>sit</b> [1] - 795:21</p> <p><b>site</b> [1] - 734:18</p> <p><b>sitting</b> [2] - 714:10, 826:3</p> <p><b>SITTING</b> [1] - 640:9</p> <p><b>situation</b> [17] - 661:12, 662:3, 662:12, 662:13, 706:17, 713:8, 734:7, 736:18, 737:18, 742:13, 745:15, 768:22, 769:1, 777:11, 794:21, 796:18, 797:24</p> <p><b>situations</b> [4] - 730:11, 768:19, 772:18, 848:24</p> <p><b>six</b> [10] - 663:9, 663:11, 663:22, 665:4, 665:17, 757:12, 790:6, 820:20, 820:22, 853:10</p> <p><b>size</b> [3] - 684:20, 792:9, 835:10</p> <p><b>skill</b> [1] - 675:12</p> <p><b>slash</b> [1] - 666:16</p>	<p><b>slightly</b> [1] - 758:22</p> <p><b>slow</b> [4] - 714:19, 716:11, 792:13, 792:18</p> <p><b>slower</b> [2] - 715:24, 720:16</p> <p><b>smarter</b> [1] - 849:3</p> <p><b>smueller@dl.com</b> [1] - 641:5</p> <p><b>snow</b> [2] - 712:9, 718:19</p> <p><b>snowbanks</b> [1] - 712:9</p> <p><b>snowplowed</b> [1] - 712:9</p> <p><b>snowstorms</b> [7] - 711:20, 712:5, 712:6, 712:13, 713:8, 716:9, 716:10</p> <p><b>So</b> [183] - 645:7, 648:13, 648:20, 649:18, 650:10, 650:13, 652:5, 653:4, 657:3, 658:24, 659:11, 659:14, 661:22, 662:9, 663:10, 665:3, 666:14, 667:7, 667:10, 668:16, 669:15, 670:3, 671:5, 671:9, 672:18, 674:2, 674:16, 675:14, 675:18, 676:22, 680:1, 681:24, 683:23, 685:5, 685:16, 690:19, 691:7, 693:3, 693:5, 693:15, 694:8, 694:13, 694:15, 695:17, 695:21, 696:1, 697:8, 698:2, 698:8, 698:11, 698:14, 699:1, 699:9, 700:15, 700:19, 701:13, 701:20, 702:17, 704:14, 705:3, 705:9, 705:12, 706:13, 707:8, 710:16, 712:11, 713:4, 715:21, 716:12, 717:10, 717:21, 717:23, 718:11, 719:13, 719:19, 720:18, 723:8, 724:5, 725:1, 725:18, 726:15, 727:7, 727:14, 728:21, 729:4,</p>
--	--	--	---	--

730:21, 732:20,  
733:1, 733:21,  
736:13, 739:8,  
739:22, 740:10,  
741:1, 742:16,  
744:16, 745:2,  
746:19, 747:9,  
747:16, 748:3,  
750:11, 750:20,  
752:10, 753:4,  
753:22, 754:1,  
755:17, 756:8,  
758:10, 758:14,  
758:19, 758:24,  
764:5, 764:14, 765:3,  
766:18, 767:16,  
771:4, 772:9, 772:24,  
773:23, 774:17,  
775:1, 776:13,  
777:11, 777:22,  
778:8, 781:2, 781:13,  
785:19, 786:20,  
788:1, 788:24,  
789:11, 789:23,  
790:19, 792:1,  
792:19, 793:10,  
794:16, 794:24,  
795:14, 796:1,  
796:22, 797:1, 797:7,  
798:5, 800:22,  
801:20, 802:6, 803:1,  
804:2, 804:9, 804:22,  
807:9, 807:11, 808:7,  
808:10, 809:1,  
812:12, 819:14,  
822:18, 824:21,  
825:1, 828:4, 831:17,  
832:13, 833:17,  
835:22, 836:1, 837:8,  
838:21, 839:7,  
840:18, 842:1,  
842:21, 844:8,  
844:21, 845:7, 846:1,  
848:5, 851:3  
**so** [77] - 645:19,  
647:1, 651:7, 652:4,  
653:10, 656:15,  
660:21, 665:9,  
665:11, 666:11,  
667:18, 668:4,  
668:21, 678:4, 678:9,  
682:19, 683:4, 683:8,  
683:17, 684:20,  
685:4, 686:10, 691:4,  
696:10, 698:23,  
701:22, 702:7,  
707:18, 711:10,  
711:16, 712:2, 715:1,

718:15, 718:21,  
718:22, 720:4, 720:9,  
725:12, 725:23,  
729:10, 731:24,  
733:7, 733:11,  
735:19, 736:21,  
741:13, 741:16,  
744:13, 745:1,  
751:16, 760:19,  
761:9, 763:12,  
772:14, 774:20,  
775:20, 780:11,  
785:5, 786:12,  
800:19, 803:3,  
804:12, 816:1, 819:3,  
821:3, 822:5, 822:20,  
823:21, 824:2,  
827:23, 835:11,  
838:12, 839:19,  
843:9, 847:5, 849:11,  
853:5  
**so-called** [1] - 720:9  
**sole** [1] - 721:13  
**solved** [1] - 849:6  
**some** [104] - 647:7,  
653:17, 660:5, 664:5,  
669:13, 671:5,  
673:21, 674:5,  
674:20, 686:24,  
687:2, 690:22, 691:1,  
694:2, 694:24, 695:8,  
695:9, 696:13,  
698:11, 705:16,  
705:19, 707:5, 707:9,  
713:24, 715:10,  
716:12, 717:13,  
719:14, 719:15,  
719:20, 719:21,  
728:5, 728:6, 734:9,  
734:12, 734:17,  
738:19, 738:22,  
744:21, 744:22,  
746:5, 748:12,  
748:21, 749:23,  
749:24, 751:15,  
752:24, 754:7,  
757:16, 758:7,  
764:19, 769:4, 770:9,  
770:18, 771:20,  
772:18, 775:23,  
776:21, 778:22,  
780:7, 780:8, 783:9,  
786:8, 786:14,  
786:15, 794:18,  
796:13, 796:20,  
797:9, 811:5, 814:9,  
818:12, 818:20,  
824:8, 825:5, 825:6,

826:3, 827:4, 831:19,  
831:24, 834:21,  
834:22, 835:1,  
836:11, 836:23,  
837:4, 839:6, 839:18,  
840:21, 841:7, 844:9,  
845:4, 845:19,  
847:11, 847:24,  
848:11, 848:23,  
848:24, 852:1,  
853:17, 854:9  
**Some** [7] - 659:24,  
690:24, 693:11,  
725:21, 738:21,  
789:5, 789:8  
**somebody** [7] -  
704:13, 719:5, 731:7,  
839:18, 844:23,  
847:10, 852:9  
**someone** [13] -  
653:5, 678:12,  
722:12, 722:18,  
722:22, 724:6, 728:1,  
730:8, 730:9, 736:18,  
739:6, 810:19, 829:15  
**something** [24] -  
672:1, 675:19, 678:5,  
679:6, 698:23, 707:2,  
707:4, 717:9, 746:20,  
757:3, 758:15,  
761:11, 769:8,  
773:23, 795:2, 801:8,  
812:23, 814:5,  
818:18, 818:20,  
843:20, 845:3, 846:2,  
846:7  
**Something** [1] -  
709:4  
**sometimes** [4] -  
739:11, 762:2, 829:18  
**Sometimes** [6] -  
651:21, 738:20,  
738:21, 739:12,  
801:3, 803:20  
**somewhat** [2] -  
786:18, 787:4  
**somewhere** [3] -  
706:23, 708:24, 710:5  
**soon** [2] - 694:22,  
840:1  
**sooner** [1] - 708:15  
**Sorry** [2] - 666:12,  
705:6  
**sorry** [16] - 659:8,  
661:17, 664:20,  
669:4, 670:5, 670:14,  
703:18, 710:4,  
715:16, 738:3, 743:6,

760:13, 762:4,  
781:24, 794:6, 830:3  
**sort** [20] - 648:8,  
648:16, 663:19,  
667:16, 674:5, 743:1,  
752:24, 780:7,  
824:15, 827:2,  
831:13, 831:23,  
839:15, 839:16,  
840:20, 843:18,  
844:11, 845:3,  
847:11, 852:4  
**Sort** [1] - 831:14  
**sounds** [1] - 829:5  
**source** [2] - 768:7,  
845:24  
**south** [3] - 645:19,  
645:20, 645:21  
**South** [1] - 640:6  
**speak** [16] - 660:3,  
675:4, 675:14,  
683:19, 699:17,  
723:8, 723:19, 724:6,  
725:20, 732:13,  
738:3, 747:7, 757:16,  
789:9, 792:3, 800:13  
**speaking** [8] - 651:8,  
667:19, 667:21,  
682:5, 682:8, 704:5,  
734:11, 745:20  
**special** [2] - 714:22,  
715:3  
**specific** [16] -  
650:18, 652:2, 681:2,  
726:20, 730:2,  
735:16, 738:19,  
740:8, 745:10,  
773:20, 776:10,  
780:18, 784:2, 785:1,  
801:14, 813:19  
**specifically** [6] -  
649:12, 675:22,  
683:7, 735:11,  
746:13, 776:11  
**specificity** [2] -  
745:6, 745:7  
**spelled** [1] - 767:15  
**spend** [1] - 822:19  
**spent** [4] - 715:9,  
837:4, 837:5, 839:6  
**spike** [4] - 799:11,  
799:22, 800:1, 800:24  
**spikes** [1] - 800:11  
**spiking** [1] - 800:24  
**splice** [2] - 717:10,  
717:13  
**split** [2] - 670:24,

671:4  
**spoke** [2] - 704:5,  
838:6  
**sponsored** [1] -  
850:16  
**sponsoring** [1] -  
830:16  
**spot** [2] - 667:8,  
682:23  
**Sprague** [7] -  
687:22, 688:19,  
688:22, 696:6, 701:1,  
812:5, 812:7  
**SPRAGUE** [32] -  
687:24, 688:22,  
689:4, 689:18,  
695:13, 696:12,  
696:18, 696:23,  
697:10, 700:8,  
700:23, 701:6,  
701:13, 701:17,  
701:22, 701:24,  
708:22, 709:4, 709:8,  
709:13, 709:19,  
710:6, 710:9, 711:12,  
712:21, 713:2, 715:4,  
812:8, 812:13,  
812:15, 857:1, 857:6  
**spreadsheet** [1] -  
710:11  
**staff** [23] - 658:22,  
693:20, 721:23,  
723:9, 723:11, 728:8,  
731:18, 732:15,  
732:21, 734:11,  
734:12, 735:7,  
736:14, 738:17,  
789:24, 790:2, 790:6,  
792:6, 792:22, 798:1,  
829:8, 832:14, 832:23  
**staffers** [1] - 659:1  
**stages** [1] - 731:16  
**stand** [2] - 839:1,  
855:1  
**standard** [5] -  
712:19, 759:18,  
759:19, 760:6, 780:17  
**standpoint** [3] -  
733:3, 740:12, 740:13  
**stands** [3] - 748:24,  
795:18, 825:21  
**start** [20] - 644:12,  
648:1, 648:20, 720:2,  
721:11, 725:15,  
725:16, 727:9,  
727:18, 730:21,  
731:2, 748:18, 753:4,

800:8, 803:16,  
803:20, 809:11,  
813:21, 828:13, 854:6  
**started** [19] - 647:20,  
650:10, 678:7,  
707:23, 708:12,  
727:16, 757:7,  
766:17, 766:20,  
794:16, 795:11,  
800:16, 803:24,  
806:2, 806:10,  
813:21, 815:24,  
816:2, 824:13  
**starting** [2] - 696:18,  
794:14  
**Starting** [1] - 730:21  
**State** [2] - 810:21,  
839:21  
**state** [8] - 654:2,  
688:3, 688:19,  
776:20, 790:12,  
819:17, 819:24,  
845:22  
**state-of-the-art** [1] -  
845:22  
**stated** [7] - 648:8,  
780:14, 790:2, 791:4,  
831:8, 833:19, 842:13  
**statement** [6] -  
673:9, 770:6, 770:7,  
777:21, 831:8, 831:11  
**statements** [1] -  
737:8  
**states** [1] - 763:5  
**station** [1] - 736:2  
**Station** [1] - 640:6  
**stationed** [1] - 736:6  
**stations** [2] - 669:14,  
736:3  
**statistical** [1] -  
773:24  
**statistics** [2] -  
719:21, 799:3  
**status** [6] - 728:13,  
738:24, 740:15,  
740:17, 740:19,  
742:18  
**stay** [2] - 704:24,  
712:16  
**step** [3] - 647:6,  
657:18, 657:20  
**steps** [2] - 675:15,  
696:13  
**Stetson** [7] - 641:13,  
643:5, 765:12, 769:7,  
817:1, 818:16, 828:11  
**STETSON** [30] -

643:3, 656:17, 670:5,  
670:10, 670:16,  
685:24, 686:8,  
686:12, 686:16,  
765:5, 765:14,  
765:20, 765:23,  
766:9, 766:21, 767:3,  
767:7, 768:1, 768:4,  
769:4, 779:15,  
802:11, 802:17,  
816:20, 817:2,  
818:17, 828:13,  
828:23, 853:19, 858:5  
**Still** [1] - 793:6  
**still** [21] - 665:13,  
667:19, 669:2,  
672:22, 690:12,  
699:24, 702:1, 702:3,  
715:23, 730:5,  
730:17, 744:12,  
765:10, 770:11,  
771:22, 790:17,  
790:18, 808:22,  
816:22, 854:8  
**stipulate** [1] - 721:4  
**stock** [1] - 683:9  
**stocking** [1] - 715:9  
**stop** [3] - 738:2,  
814:15, 840:23  
**stopped** [3] - 815:8,  
848:22, 849:1  
**storm** [129] - 642:10,  
644:20, 648:21,  
653:5, 654:9, 654:10,  
655:1, 655:5, 656:15,  
656:16, 661:7,  
664:12, 667:20,  
667:23, 672:20,  
675:15, 675:17,  
675:18, 677:2,  
677:12, 679:3, 681:8,  
681:19, 682:4,  
688:12, 688:17,  
689:3, 690:13, 694:7,  
694:19, 694:21,  
710:13, 711:13,  
714:8, 718:1, 718:8,  
718:13, 720:6,  
721:17, 722:15,  
723:23, 725:24,  
726:4, 727:9, 728:8,  
730:4, 730:7, 731:14,  
731:17, 731:21,  
732:3, 733:20, 736:4,  
738:23, 741:8, 746:7,  
755:10, 755:12,  
756:11, 758:4, 760:8,  
762:16, 763:9,

763:14, 763:16,  
766:8, 766:12,  
766:14, 768:23,  
768:24, 770:6,  
777:20, 784:15,  
786:1, 787:16,  
787:18, 790:16,  
790:17, 791:11,  
797:15, 805:23,  
806:19, 807:1, 810:2,  
810:5, 811:9, 811:24,  
812:3, 812:4, 812:10,  
812:23, 813:6, 813:9,  
814:12, 815:5, 815:8,  
818:15, 820:16,  
823:12, 823:13,  
827:16, 827:18,  
827:21, 827:22,  
827:24, 828:2, 830:8,  
830:18, 830:23,  
832:11, 833:13,  
833:20, 834:13,  
835:6, 836:6, 840:1,  
840:2, 840:3, 840:10,  
840:18, 841:4, 841:8,  
842:18, 849:16,  
849:24  
**storm's** [1] - 770:12  
**storms** [6] - 832:12,  
835:10, 835:17,  
835:20, 836:1, 836:4  
**straightforward** [2] -  
716:22, 744:17  
**strange** [1] - 791:14  
**Street** [9] - 640:23,  
641:3, 646:14,  
646:18, 646:21,  
646:22, 662:7, 688:9,  
725:5  
**street** [4] - 693:3,  
728:10, 728:20, 729:2  
**streets** [5] - 668:9,  
693:20, 728:20,  
728:24, 739:20  
**strictly** [1] - 673:1  
**strikes** [1] - 822:4  
**structure** [2] -  
743:19, 753:14  
**structured** [1] -  
831:23  
**struggling** [1] -  
737:17  
**stuck** [1] - 705:2  
**studied** [1] - 843:17  
**subbullet** [1] -  
844:10  
**subbullets** [1] -

844:9  
**subject** [3] - 748:9,  
823:17, 836:13  
**submit** [2] - 818:18,  
820:18  
**submitted** [1] - 850:3  
**Subpart** [1] - 754:19  
**subs** [2] - 695:8,  
695:9  
**Subsection** [1] -  
770:22  
**subsequent** [2] -  
708:24, 711:19  
**subsequently** [2] -  
784:4, 816:18  
**subset** [1] - 775:2  
**substance** [1] -  
842:21  
**substantially** [1] -  
740:3  
**substantive** [2] -  
825:19, 831:22  
**substation** [6] -  
645:9, 645:11, 646:3,  
646:4, 646:16, 696:9  
**substations** [22] -  
646:13, 647:5, 647:6,  
647:8, 657:9, 657:13,  
657:17, 685:23,  
695:4, 695:11,  
695:21, 695:22,  
695:23, 696:7,  
696:19, 700:5,  
700:13, 700:24,  
701:2, 701:11, 702:2,  
744:14  
**substitute** [1] -  
681:11  
**subtransmission** [1]  
- 701:3  
**such** [13] - 673:18,  
674:11, 682:22,  
717:17, 771:21,  
782:6, 782:8, 793:22,  
808:8, 809:22, 811:4,  
815:11, 849:9  
**sufficient** [3] - 682:3,  
689:24, 730:1  
**sufficiently** [3] -  
721:2, 721:6, 731:24  
**sum** [1] - 842:21  
**summarized** [1] -  
832:4  
**summary** [2] -  
850:23, 852:22  
**Summary** [1] -  
852:20

**summed** [1] - 710:2  
**Summer** [3] -  
646:18, 646:20,  
646:22  
**sums** [1] - 842:11  
**sun** [2] - 681:19,  
685:9  
**Sunday** [7] - 703:23,  
706:15, 706:16,  
707:10, 720:15,  
735:13, 741:18  
**superintendent** [2] -  
688:16, 729:20  
**superior** [2] - 824:2,  
824:5  
**supervision** [1] -  
820:24  
**supervisors** [1] -  
837:13  
**supervisory** [1] -  
660:22  
**supplement** [6] -  
689:24, 697:19,  
703:7, 707:7, 854:14,  
854:16  
**supplemented** [1] -  
707:16  
**supply** [1] - 698:18  
**supplying** [1] -  
727:18  
**support** [3] - 731:20,  
831:9, 831:17  
**supportive** [1] -  
825:5  
**suppose** [1] - 756:24  
**Sure** [7] - 686:21,  
763:15, 779:14,  
797:23, 799:9,  
803:13, 815:19  
**sure** [39] - 645:13,  
647:9, 647:23,  
658:12, 658:13,  
665:9, 673:22,  
676:16, 676:22,  
708:22, 718:11,  
730:14, 736:15,  
744:5, 770:10,  
771:23, 772:4, 774:8,  
777:16, 781:3, 783:1,  
784:1, 784:7, 791:16,  
794:9, 795:18, 798:8,  
803:15, 804:15,  
804:22, 808:14,  
808:15, 813:11,  
816:7, 825:15,  
825:17, 834:3,  
838:21, 845:17

<p><b>suspect</b> [3] - 766:6, 772:24, 773:1</p> <p><b>suspended</b> [1] - 813:6</p> <p><b>swear</b> [2] - 653:19, 687:20</p> <p><b>switch</b> [3] - 662:9, 696:10, 748:1</p> <p><b>switching</b> [7] - 651:20, 651:24, 652:1, 652:5, 652:8, 689:9</p> <p><b>Sworn</b> [5] - 644:9, 653:20, 687:24, 689:19, 819:21</p> <p><b>sworn</b> [2] - 654:17, 812:6</p> <p><b>system</b> [120] - 645:6, 645:16, 646:9, 646:10, 646:13, 646:17, 646:21, 647:1, 647:3, 647:5, 647:14, 647:15, 650:8, 657:5, 657:7, 657:8, 657:10, 658:2, 658:5, 663:17, 666:20, 667:7, 667:9, 668:9, 668:12, 669:12, 669:17, 669:18, 671:7, 672:16, 675:3, 676:20, 679:14, 679:15, 685:21, 689:8, 690:23, 691:7, 692:6, 693:17, 693:23, 694:3, 694:10, 694:11, 694:13, 694:22, 695:1, 695:2, 695:14, 695:19, 697:1, 697:12, 701:4, 701:7, 701:10, 706:12, 707:5, 708:20, 711:15, 711:19, 711:21, 714:21, 719:4, 719:7, 719:12, 720:20, 723:16, 723:18, 723:22, 728:18, 736:21, 740:15, 740:17, 740:19, 741:4, 742:7, 742:18, 742:22, 744:12, 744:13, 744:15, 748:24, 749:3, 749:20, 750:5, 750:9, 750:11, 755:7, 755:18, 755:19, 755:21, 756:1,</p>	<p>764:10, 766:17, 766:19, 770:16, 771:11, 771:12, 771:13, 771:21, 772:4, 773:11, 785:13, 785:18, 789:6, 793:7, 795:13, 798:9, 799:1, 800:15, 802:1, 802:24, 803:15, 814:4, 814:8, 814:15</p> <p><b>systems</b> [5] - 655:12, 668:6, 690:7, 795:14, 795:20</p> <p><b>Systemwide</b> [1] - 703:18</p>	<p>687:4, 717:12, 739:13, 798:2, 818:7, 822:24, 855:10</p> <p><b>takes</b> [4] - 652:6, 673:8, 713:21, 788:23</p> <p><b>taking</b> [7] - 674:17, 675:7, 693:22, 720:2, 790:16, 790:18, 797:9</p> <p><b>talk</b> [9] - 748:10, 750:1, 757:4, 788:8, 789:16, 809:23, 824:16, 824:18, 827:24</p> <p><b>talked</b> [19] - 647:18, 667:5, 677:23, 681:7, 729:16, 733:7, 748:23, 754:18, 763:23, 778:3, 788:6, 790:13, 791:21, 791:22, 793:2, 793:5, 795:6, 812:17</p> <p><b>talking</b> [17] - 665:13, 665:16, 668:13, 669:5, 681:17, 709:7, 724:3, 728:14, 730:10, 734:3, 765:24, 775:2, 775:13, 778:15, 798:1, 800:21, 806:1</p> <p><b>talks</b> [3] - 735:15, 764:5, 801:8</p> <p><b>tangled</b> [1] - 717:19</p> <p><b>tap</b> [2] - 717:8, 717:14</p> <p><b>target</b> [2] - 764:11, 807:5</p> <p><b>task</b> [1] - 674:20</p> <p><b>tasks</b> [3] - 662:2, 823:6</p> <p><b>team</b> [3] - 812:2, 828:21, 830:4</p> <p><b>technical</b> [4] - 688:7, 741:9, 824:7, 824:8</p> <p><b>technically</b> [1] - 645:17</p> <p><b>technician</b> [2] - 795:24, 796:1</p> <p><b>telephone</b> [10] - 661:13, 666:19, 668:1, 788:7, 790:9, 792:3, 792:4, 792:21, 793:1, 799:2</p> <p><b>telephones</b> [1] - 790:3</p> <p><b>tell</b> [12] - 645:10, 700:9, 725:18, 735:2, 738:14, 740:16,</p>	<p>741:16, 741:23, 742:1, 744:3, 757:23, 822:12</p> <p><b>Tell</b> [3] - 737:12, 737:16, 814:4</p> <p><b>telling</b> [4] - 684:17, 737:6, 808:13, 815:16</p> <p><b>temperature</b> [1] - 801:2</p> <p><b>temperatures</b> [3] - 799:14, 800:2, 801:1</p> <p><b>temporaries</b> [1] - 790:15</p> <p><b>temporary</b> [2] - 701:4, 799:22</p> <p><b>ten</b> [12] - 657:16, 657:21, 657:23, 690:10, 691:17, 691:19, 692:9, 692:11, 692:14, 697:19, 706:1, 844:23</p> <p><b>tend</b> [3] - 759:18, 773:2, 773:4</p> <p><b>tended</b> [1] - 830:8</p> <p><b>tends</b> [2] - 674:12, 758:22</p> <p><b>Tennessee</b> [2] - 706:14, 706:17</p> <p><b>term</b> [2] - 663:14, 829:4</p> <p><b>termed</b> [1] - 830:21</p> <p><b>terminology</b> [1] - 704:10</p> <p><b>terms</b> [23] - 652:3, 655:19, 680:7, 681:13, 699:10, 711:24, 712:1, 717:22, 718:6, 718:9, 722:5, 726:19, 740:6, 746:20, 761:21, 762:23, 762:24, 772:21, 782:5, 835:22, 841:7, 843:23, 850:14</p> <p><b>territories</b> [5] - 650:4, 664:4, 687:9, 691:4, 692:17</p> <p><b>territory</b> [16] - 645:12, 649:3, 656:21, 657:14, 658:9, 659:2, 663:5, 663:24, 665:1, 669:10, 678:19, 721:19, 763:16, 815:22, 838:3</p> <p><b>testified</b> [5] - 647:10, 649:11, 662:17,</p>	<p>667:15, 805:1</p> <p><b>testify</b> [1] - 853:13</p> <p><b>testimony</b> [7] - 788:12, 813:5, 814:22, 820:11, 822:9, 822:10, 826:20</p> <p><b>testing</b> [1] - 673:21</p> <p><b>than</b> [55] - 652:6, 665:3, 667:5, 669:18, 694:14, 698:15, 699:11, 699:14, 702:20, 708:16, 713:15, 713:20, 715:24, 717:16, 717:21, 718:21, 720:16, 728:4, 731:3, 734:21, 735:19, 736:2, 737:11, 738:13, 739:13, 740:22, 745:11, 747:16, 752:6, 756:15, 759:18, 771:20, 772:5, 773:3, 773:23, 778:20, 786:16, 790:24, 796:1, 801:4, 804:7, 804:12, 804:23, 808:7, 835:10, 843:14, 843:16, 844:10, 846:19, 846:22, 847:12, 849:3, 852:9, 852:14</p> <p><b>Thank</b> [28] - 643:10, 644:10, 644:13, 665:14, 670:16, 681:22, 688:11, 688:19, 689:13, 705:8, 748:4, 769:6, 769:7, 769:17, 784:10, 787:11, 799:6, 809:18, 811:11, 812:24, 819:6, 819:14, 822:8, 828:10, 839:5, 854:24, 855:2, 855:5</p> <p><b>thank</b> [1] - 754:6</p> <p><b>that</b> [1121] - 644:11, 645:8, 646:1, 646:5, 646:11, 646:23, 647:1, 647:8, 647:10, 647:11, 647:18, 648:10, 648:13, 648:17, 648:23, 649:18, 650:14, 650:18, 651:11, 651:13, 651:14, 651:16, 651:21, 652:2, 652:8, 652:9,</p>
<b>T</b>				
<p><b>T-1</b> [9] - 746:24, 747:1, 747:4, 747:7, 747:14, 794:1, 794:8, 794:13, 795:10</p> <p><b>Tab</b> [1] - 777:21</p> <p><b>Table</b> [2] - 821:9, 821:11</p> <p><b>table</b> [2] - 744:24, 821:18</p> <p><b>tabletop</b> [2] - 811:1, 811:3</p> <p><b>tabulated</b> [2] - 709:24, 710:10</p> <p><b>tabulating</b> [1] - 707:23</p> <p><b>tabulation</b> [2] - 687:8, 708:18</p> <p><b>Tackey</b> [2] - 641:13, 643:5</p> <p><b>tackey.chan@state.ma.us</b> [1] - 641:16</p> <p><b>tactical</b> [1] - 726:4</p> <p><b>tagging</b> [1] - 652:3</p> <p><b>take</b> [31] - 651:22, 655:16, 679:3, 689:2, 706:18, 709:15, 709:17, 714:21, 714:24, 719:3, 719:5, 719:12, 719:19, 726:24, 740:23, 742:23, 743:14, 744:6, 747:22, 769:18, 769:21, 793:23, 795:11, 798:7, 801:17, 808:4, 814:3, 818:5, 826:13, 847:23, 849:19</p> <p><b>taken</b> [11] - 661:20, 675:15, 675:16,</p>				

653:10, 654:20, 654:22, 655:10, 655:16, 655:17, 655:18, 655:24, 656:19, 656:22, 657:4, 657:20, 657:21, 658:1, 658:10, 658:11, 658:13, 658:24, 659:1, 660:2, 660:13, 660:16, 661:12, 661:13, 661:16, 661:20, 662:4, 662:7, 662:8, 662:10, 662:12, 662:13, 662:18, 662:20, 663:10, 663:16, 663:22, 664:8, 664:10, 664:19, 665:14, 665:20, 666:14, 667:1, 667:2, 667:4, 667:7, 667:8, 667:14, 667:15, 667:16, 667:18, 668:16, 669:6, 669:15, 670:3, 670:4, 670:18, 670:20, 670:21, 671:2, 671:4, 671:6, 671:7, 671:11, 671:15, 671:18, 672:10, 672:12, 672:19, 673:9, 673:11, 673:17, 673:19, 673:22, 673:23, 674:11, 674:13, 675:1, 675:14, 675:22, 675:24, 676:22, 677:5, 677:15, 677:19, 677:23, 678:3, 678:4, 678:8, 678:9, 679:21, 679:22, 680:3, 680:4, 680:12, 680:13, 681:1, 681:7, 681:8, 681:12, 682:2, 682:13, 682:24, 683:12, 683:15, 683:17, 683:23, 684:1, 684:12, 684:14, 686:2, 686:4, 686:6, 686:8, 686:13, 686:16, 686:19, 686:22, 686:24, 687:2, 687:7, 687:10, 687:11, 687:17, 688:12, 689:6, 689:7, 689:9, 689:23, 690:4,	690:6, 690:11, 690:13, 690:14, 690:19, 690:23, 691:2, 691:4, 691:5, 691:6, 691:8, 691:17, 691:24, 692:5, 692:8, 692:9, 693:1, 693:7, 693:8, 693:18, 693:20, 693:22, 694:2, 694:14, 694:17, 694:18, 694:21, 694:23, 695:11, 695:16, 695:19, 696:3, 696:5, 696:15, 696:16, 696:17, 696:20, 696:21, 697:5, 697:6, 697:8, 697:11, 697:13, 697:14, 697:15, 697:18, 697:24, 698:1, 698:4, 698:8, 698:13, 698:17, 698:18, 698:19, 698:24, 699:6, 699:14, 699:22, 699:24, 700:7, 700:15, 700:19, 700:20, 701:1, 701:4, 701:7, 701:14, 701:18, 701:20, 701:24, 702:1, 702:3, 702:6, 702:8, 702:12, 702:18, 702:20, 702:24, 703:6, 703:12, 703:14, 703:20, 703:22, 704:2, 704:8, 704:9, 704:10, 704:11, 704:17, 704:22, 705:13, 705:18, 705:20, 706:5, 706:11, 706:12, 706:13, 706:24, 707:4, 707:8, 707:12, 707:15, 707:18, 707:19, 707:20, 708:2, 708:3, 708:6, 708:10, 708:12, 708:13, 708:16, 708:20, 708:24, 709:1, 709:7, 709:11, 709:17, 709:23, 710:2, 710:17, 711:2, 711:8, 711:10, 711:17, 711:20, 711:22, 712:3, 712:5, 712:13, 712:17,	712:20, 712:21, 712:24, 713:4, 713:7, 713:9, 714:3, 714:8, 714:17, 714:18, 714:23, 715:2, 715:6, 715:8, 715:11, 715:16, 715:20, 715:22, 715:23, 715:24, 716:4, 716:5, 716:9, 716:14, 716:15, 716:16, 717:2, 717:3, 717:16, 717:18, 717:23, 718:7, 718:13, 718:15, 718:21, 719:9, 719:19, 720:4, 720:6, 720:10, 720:15, 721:1, 721:2, 721:5, 721:7, 721:9, 721:12, 721:14, 721:15, 721:17, 721:19, 721:21, 721:22, 722:7, 722:9, 722:12, 722:13, 722:14, 722:17, 722:19, 722:21, 723:7, 723:9, 723:19, 723:22, 724:5, 724:8, 724:9, 724:10, 724:18, 724:20, 724:23, 725:8, 725:10, 725:18, 726:2, 726:3, 726:12, 727:7, 727:13, 727:19, 727:24, 728:16, 728:24, 729:4, 729:5, 729:8, 729:15, 729:24, 730:1, 730:13, 730:14, 730:18, 731:4, 731:6, 731:7, 731:17, 731:20, 732:1, 732:7, 732:9, 732:14, 732:20, 732:22, 732:24, 733:4, 733:5, 733:9, 733:11, 733:14, 733:15, 733:18, 733:21, 733:22, 733:23, 734:12, 734:16, 734:21, 734:22, 735:7, 735:15, 735:22, 735:24, 736:4, 736:7, 736:9, 736:11, 736:15, 736:18, 736:21, 737:1, 737:4, 737:6, 737:9, 737:10,	737:12, 737:14, 737:19, 738:8, 738:16, 738:20, 739:3, 739:5, 739:9, 739:13, 739:15, 739:22, 739:23, 740:1, 740:2, 740:4, 740:5, 740:18, 740:20, 741:2, 741:3, 741:7, 741:9, 741:16, 741:17, 741:19, 741:20, 741:24, 742:2, 742:9, 742:17, 743:1, 743:16, 743:17, 743:22, 744:1, 744:11, 744:18, 745:3, 745:11, 745:12, 745:13, 745:18, 745:22, 746:3, 746:6, 746:8, 746:10, 746:14, 746:17, 746:20, 746:24, 747:4, 747:7, 747:8, 747:11, 747:12, 747:19, 748:3, 748:24, 749:6, 749:15, 749:19, 749:23, 750:1, 750:9, 750:10, 750:13, 750:17, 750:18, 750:21, 750:23, 751:4, 751:17, 751:20, 752:2, 752:6, 752:18, 752:19, 752:21, 752:23, 752:24, 753:3, 753:9, 753:11, 753:15, 753:23, 754:7, 754:11, 754:13, 754:15, 755:5, 755:10, 755:11, 755:13, 755:17, 756:1, 756:3, 756:8, 756:9, 756:15, 756:16, 756:19, 756:22, 757:1, 757:5, 757:8, 757:10, 757:14, 757:20, 757:21, 757:24, 758:3, 758:10, 758:12, 758:13, 758:14, 758:16, 759:2, 759:3, 759:5, 759:6, 759:18, 759:19, 760:1, 760:2, 760:6, 760:7, 760:9, 760:10, 760:13,	760:14, 760:17, 760:21, 761:7, 761:10, 761:11, 761:12, 761:13, 761:20, 761:22, 762:5, 762:13, 762:14, 762:15, 763:5, 763:8, 763:9, 763:13, 763:21, 763:22, 763:23, 763:24, 764:3, 764:8, 764:17, 764:24, 765:1, 765:2, 765:11, 765:23, 766:3, 766:9, 766:11, 766:14, 766:22, 766:23, 767:5, 767:14, 767:17, 767:22, 767:23, 768:2, 768:4, 768:7, 768:10, 768:20, 768:21, 769:10, 769:18, 769:21, 770:6, 770:16, 770:18, 770:20, 770:23, 770:24, 771:3, 771:10, 771:14, 771:15, 771:16, 771:21, 772:1, 772:10, 772:14, 772:19, 773:8, 773:10, 773:11, 773:12, 773:14, 773:17, 773:21, 774:2, 774:4, 774:8, 774:10, 774:11, 774:13, 774:15, 774:20, 774:23, 775:2, 775:3, 775:8, 775:15, 775:23, 775:24, 776:17, 776:19, 776:20, 776:21, 776:22, 777:1, 777:7, 777:8, 777:11, 777:14, 778:1, 778:2, 778:8, 778:16, 778:22, 779:1, 779:5, 779:16, 779:17, 780:5, 780:6, 780:7, 780:22, 780:23, 781:3, 781:5, 781:20, 781:23, 781:24, 782:3, 782:4, 782:7, 782:8, 782:11, 782:12, 782:23, 783:6, 783:8, 783:9, 783:11, 783:16, 783:17, 783:18,
--	---	--	---	---

783:19, 783:20, 783:23, 784:1, 784:3, 784:5, 784:6, 784:7, 784:8, 784:9, 784:10, 784:12, 784:14, 784:20, 784:23, 785:2, 785:3, 785:6, 785:8, 785:10, 785:12, 785:15, 785:21, 786:2, 786:6, 786:7, 786:8, 786:14, 786:18, 786:19, 786:21, 786:24, 787:2, 787:18, 787:22, 788:5, 788:7, 788:12, 788:16, 788:20, 788:22, 789:7, 789:9, 789:14, 789:21, 789:22, 790:11, 790:13, 790:22, 791:2, 791:6, 791:8, 791:9, 791:14, 791:17, 791:22, 792:7, 792:11, 792:19, 792:20, 792:23, 793:2, 793:5, 793:8, 793:13, 793:15, 793:19, 793:21, 793:23, 794:2, 794:4, 794:7, 794:9, 794:10, 794:13, 794:23, 795:1, 795:2, 795:6, 795:9, 795:12, 795:15, 795:17, 795:19, 795:22, 796:3, 796:8, 796:20, 797:5, 797:6, 797:12, 797:21, 797:23, 798:2, 798:8, 798:9, 798:10, 798:13, 798:19, 798:20, 798:23, 799:4, 799:5, 799:18, 799:20, 800:6, 800:10, 800:14, 800:16, 801:4, 801:5, 801:6, 801:8, 802:2, 802:3, 802:8, 802:10, 803:1, 803:6, 803:8, 803:19, 804:2, 804:7, 804:10, 804:16, 805:1, 805:8, 805:16, 805:19, 805:20, 805:22, 806:5, 806:6, 806:8, 806:11, 806:16, 806:19, 806:23, 806:24, 807:4, 807:5,	807:6, 807:7, 807:9, 807:18, 807:20, 808:5, 808:9, 808:12, 808:15, 808:20, 808:22, 809:9, 810:22, 811:16, 812:3, 812:6, 812:9, 813:5, 813:6, 813:20, 813:22, 813:23, 814:5, 814:18, 814:19, 814:23, 815:9, 815:10, 815:12, 815:18, 815:23, 816:5, 816:8, 816:11, 816:14, 816:24, 817:11, 817:13, 817:21, 817:24, 818:1, 818:2, 818:11, 818:16, 818:18, 819:2, 819:5, 819:7, 820:6, 821:8, 821:15, 821:16, 821:17, 821:19, 822:4, 822:5, 822:7, 822:23, 823:3, 823:4, 823:9, 823:11, 823:13, 823:14, 823:15, 823:16, 823:18, 823:19, 823:20, 823:21, 823:22, 823:23, 823:24, 824:1, 824:2, 824:5, 824:6, 825:10, 825:12, 825:17, 826:8, 826:11, 826:13, 826:14, 826:17, 827:7, 827:20, 828:3, 828:6, 828:14, 828:16, 828:18, 829:3, 830:8, 830:13, 830:16, 830:18, 831:8, 831:10, 831:13, 831:20, 831:23, 832:6, 832:16, 832:19, 832:24, 833:2, 833:13, 833:15, 833:17, 833:19, 833:23, 834:3, 834:4, 834:16, 835:2, 835:7, 835:13, 835:22, 835:24, 836:6, 836:10, 836:15, 836:16, 836:17, 836:20, 836:21, 837:7, 837:10, 837:11, 837:17, 837:19,	837:20, 838:6, 838:10, 838:11, 838:12, 838:19, 838:20, 838:22, 838:24, 839:1, 839:5, 839:16, 839:21, 840:3, 840:9, 840:11, 840:24, 841:17, 842:11, 842:12, 842:14, 842:17, 842:22, 843:9, 843:20, 843:21, 843:24, 844:14, 844:18, 844:19, 844:21, 845:1, 845:8, 845:10, 845:20, 845:21, 846:1, 846:2, 846:5, 846:6, 846:7, 847:2, 847:9, 847:12, 847:20, 848:2, 848:6, 848:14, 848:15, 848:17, 848:18, 849:2, 849:3, 849:6, 849:9, 849:10, 849:15, 849:18, 849:20, 850:11, 850:15, 850:18, 850:21, 850:24, 851:3, 851:4, 851:7, 851:14, 851:18, 851:24, 852:2, 852:5, 852:8, 853:7, 853:8, 853:9, 853:10, 853:19, 854:13, 854:16, 854:18, 854:21, 855:11 <b>That</b> <sup>[46]</sup> - 656:7, 661:12, 670:23, 681:21, 687:12, 687:15, 696:18, 698:22, 699:3, 699:5, 699:6, 701:12, 704:14, 707:21, 713:21, 714:2, 720:7, 722:16, 725:24, 726:10, 733:8, 739:4, 743:7, 746:10, 747:2, 750:5, 758:8, 760:16, 761:15, 782:14, 785:11, 792:14, 795:18, 799:20, 817:18, 818:22, 820:16, 821:9, 821:24, 825:8, 827:2, 828:9, 832:17, 834:22, 851:3, 854:24 <b>That's</b> <sup>[57]</sup> - 649:7, 656:23, 665:2,	666:12, 669:1, 669:7, 670:19, 672:17, 675:4, 676:7, 679:11, 679:12, 680:11, 682:18, 701:23, 713:2, 716:13, 721:7, 725:3, 726:1, 726:3, 727:5, 738:12, 743:7, 743:10, 749:7, 751:7, 751:10, 760:11, 763:10, 764:4, 764:9, 764:18, 767:6, 767:10, 768:6, 770:7, 774:1, 776:15, 779:4, 781:21, 787:8, 788:17, 795:3, 800:4, 800:6, 804:5, 805:11, 805:13, 806:12, 815:20, 826:9, 830:20, 834:8, 846:4, 852:3 <b>that's</b> <sup>[56]</sup> - 663:13, 667:6, 670:10, 679:6, 694:16, 696:20, 708:9, 710:9, 717:16, 724:22, 725:9, 726:13, 727:16, 729:2, 730:12, 743:9, 745:12, 745:20, 750:3, 751:5, 752:12, 752:14, 753:12, 758:3, 759:5, 761:11, 764:1, 764:14, 765:24, 766:1, 767:19, 769:15, 770:19, 772:17, 783:20, 786:20, 786:22, 788:4, 792:10, 795:4, 801:6, 801:8, 801:16, 802:11, 809:6, 822:5, 822:21, 827:6, 827:11, 831:1, 831:6, 837:8, 838:21, 842:3, 851:20, 852:9 <b>that's...</b> <sup>[1]</sup> - 658:14 <b>The</b> <sup>[86]</sup> - 645:16, 647:5, 647:9, 647:15, 648:22, 654:4, 656:1, 660:20, 665:18, 667:23, 668:14, 673:16, 677:21, 679:18, 685:18, 690:2, 693:18, 694:1, 697:24, 698:17, 699:7, 702:9, 702:16, 704:9, 710:7, 710:9, 710:10, 713:19,	715:8, 716:21, 718:8, 719:1, 728:17, 731:22, 733:20, 738:15, 741:6, 741:15, 744:11, 746:8, 747:7, 751:23, 755:10, 755:12, 758:21, 763:19, 765:23, 767:7, 772:18, 776:15, 779:15, 781:6, 785:16, 785:20, 786:24, 790:1, 792:13, 792:16, 794:10, 795:24, 796:16, 797:16, 799:1, 803:13, 805:22, 818:23, 819:1, 820:10, 820:12, 822:15, 824:9, 824:11, 825:21, 830:16, 834:21, 839:1, 839:7, 841:18, 845:10, 845:12, 847:8, 851:10, 853:9, 854:7, 854:13 <b>THE</b> <sup>[2]</sup> - 779:18, 819:19 <b>the</b> <sup>[2005]</sup> - 640:5, 641:12, 642:4, 642:5, 642:7, 642:9, 642:13, 642:14, 642:17, 642:18, 642:20, 642:24, 643:3, 643:9, 643:11, 643:12, 643:13, 643:16, 644:20, 644:21, 644:22, 645:1, 645:2, 645:6, 645:10, 645:11, 645:12, 645:14, 645:20, 645:21, 646:2, 646:3, 646:4, 646:5, 646:9, 646:10, 646:13, 646:15, 646:16, 646:17, 646:21, 647:1, 647:3, 647:4, 647:5, 647:6, 647:15, 647:17, 647:21, 648:2, 648:6, 648:7, 648:13, 648:16, 648:17, 648:20, 648:21, 649:2, 649:5, 649:8, 649:11, 649:12, 649:14, 649:18, 649:21, 649:24, 650:3, 650:7,
---	---	---	---	--

650:8, 650:11, 650:16, 650:19, 650:24, 651:1, 651:6, 651:7, 651:11, 651:16, 651:17, 651:18, 651:19, 651:24, 652:1, 652:2, 652:3, 652:10, 652:12, 652:13, 652:14, 652:16, 652:17, 652:18, 652:19, 652:21, 653:2, 653:4, 653:6, 653:7, 653:9, 653:10, 653:12, 653:14, 653:15, 653:16, 653:18, 653:23, 654:6, 654:8, 654:10, 654:20, 654:22, 654:24, 655:2, 655:5, 655:6, 655:8, 655:10, 655:11, 655:13, 655:16, 655:21, 656:3, 656:5, 656:10, 656:11, 656:13, 656:15, 656:16, 656:18, 656:20, 656:21, 656:24, 657:1, 657:2, 657:4, 657:5, 657:6, 657:8, 657:9, 657:12, 657:13, 657:21, 657:23, 658:1, 658:5, 658:7, 658:11, 658:15, 658:16, 658:18, 658:21, 658:24, 659:16, 660:6, 660:9, 660:15, 660:21, 660:22, 661:6, 661:7, 661:8, 661:11, 661:22, 662:2, 662:3, 662:5, 662:17, 662:24, 663:1, 663:2, 663:4, 663:7, 663:10, 663:11, 663:14, 663:16, 663:19, 663:20, 663:23, 664:2, 664:10, 664:12, 664:19, 664:20, 664:22, 664:24, 665:3, 665:4, 665:5, 665:17, 665:19, 666:8, 666:9, 666:13, 666:14, 666:15, 666:18, 666:20, 666:21, 667:6, 667:13,	667:14, 667:17, 667:19, 667:20, 667:21, 667:22, 667:23, 668:3, 668:4, 668:5, 668:8, 668:12, 668:13, 668:16, 668:17, 668:19, 668:22, 668:23, 668:24, 669:5, 669:8, 669:11, 669:12, 669:15, 669:16, 669:17, 669:21, 670:2, 670:6, 670:7, 670:10, 670:14, 670:17, 670:18, 671:1, 671:3, 671:8, 671:11, 671:14, 671:22, 672:2, 672:3, 672:4, 672:6, 672:7, 672:8, 672:14, 672:16, 672:18, 672:20, 673:5, 673:6, 673:7, 673:10, 673:11, 673:18, 673:21, 673:22, 674:1, 674:2, 674:7, 674:9, 674:11, 674:13, 674:16, 674:18, 674:19, 675:5, 675:8, 675:9, 675:11, 675:15, 675:16, 675:18, 675:19, 676:1, 676:2, 676:3, 676:5, 676:6, 676:8, 676:10, 676:11, 676:15, 676:20, 676:23, 677:3, 677:4, 677:7, 677:8, 677:12, 677:15, 677:18, 677:19, 677:22, 677:23, 678:7, 678:10, 678:11, 678:13, 678:18, 679:6, 679:7, 679:9, 679:11, 679:12, 679:13, 679:14, 679:15, 679:20, 680:8, 680:11, 680:12, 680:14, 680:15, 680:17, 680:18, 680:19, 680:22, 680:23, 681:1, 681:4, 681:7, 681:8, 681:17, 681:18, 681:19, 681:24, 682:1, 682:9, 682:14, 682:17,	683:1, 683:3, 683:4, 683:5, 683:6, 683:7, 683:9, 683:16, 683:17, 683:18, 683:22, 683:23, 684:1, 684:3, 684:5, 684:13, 684:16, 684:22, 685:1, 685:3, 685:4, 685:6, 685:7, 685:9, 685:13, 685:15, 685:16, 685:18, 685:20, 685:21, 685:22, 685:23, 686:2, 686:8, 686:10, 686:12, 686:14, 687:3, 687:5, 687:7, 687:8, 687:9, 687:18, 688:5, 688:7, 688:11, 688:12, 688:14, 688:15, 688:16, 688:17, 688:18, 688:21, 688:23, 689:2, 689:4, 689:5, 689:6, 689:8, 689:10, 689:11, 689:12, 689:22, 690:3, 690:4, 690:5, 690:10, 690:11, 690:13, 690:21, 690:23, 690:24, 691:2, 691:7, 691:8, 691:10, 691:16, 692:4, 692:13, 692:17, 692:18, 692:19, 692:20, 692:23, 693:1, 693:6, 693:7, 693:8, 693:11, 693:13, 693:14, 693:15, 693:16, 693:18, 693:20, 693:21, 693:23, 694:7, 694:8, 694:14, 694:21, 694:22, 695:1, 695:2, 695:11, 695:14, 695:18, 695:21, 695:22, 695:23, 696:1, 696:8, 696:9, 696:10, 696:13, 696:14, 696:18, 696:21, 697:4, 697:5, 697:8, 697:11, 697:12, 697:15, 697:16, 697:17, 697:18, 697:19, 697:23, 698:2, 698:10, 698:16, 698:22, 698:23, 698:24,	699:1, 699:19, 699:20, 699:23, 700:1, 700:3, 700:4, 700:5, 700:6, 700:9, 700:10, 700:12, 700:13, 700:15, 700:16, 700:19, 700:20, 701:3, 701:6, 701:8, 701:10, 701:21, 702:1, 702:2, 702:4, 702:5, 702:7, 702:13, 702:14, 702:16, 702:17, 702:18, 702:19, 702:21, 702:22, 702:23, 703:3, 703:4, 703:5, 703:11, 703:21, 703:22, 704:4, 704:5, 704:20, 705:1, 705:3, 705:5, 705:7, 705:10, 705:16, 705:20, 705:23, 706:5, 706:11, 706:17, 707:16, 707:17, 707:18, 708:2, 708:7, 708:8, 708:10, 708:20, 708:22, 708:23, 709:1, 709:9, 709:16, 709:17, 710:2, 710:4, 710:11, 710:13, 710:17, 710:18, 710:19, 710:23, 711:2, 711:9, 711:10, 711:12, 711:13, 711:19, 711:20, 711:21, 711:24, 712:1, 712:2, 712:3, 712:5, 712:7, 712:8, 712:12, 712:13, 712:14, 712:17, 713:7, 713:8, 713:14, 713:15, 713:18, 714:1, 714:4, 714:7, 714:8, 714:11, 714:12, 714:14, 714:17, 714:19, 714:21, 714:24, 715:1, 715:4, 715:7, 715:14, 715:18, 715:23, 715:24, 716:4, 716:14, 716:19, 716:21, 716:23, 717:5, 717:7, 717:10, 717:14, 717:15, 717:16, 717:17, 717:23, 717:24, 718:3, 718:6,	718:8, 718:18, 718:19, 718:23, 719:3, 720:3, 720:6, 720:9, 720:12, 721:2, 721:7, 721:11, 721:12, 721:13, 721:16, 721:18, 721:20, 721:24, 722:1, 722:4, 722:6, 722:7, 722:9, 722:11, 722:13, 723:5, 723:12, 723:16, 723:21, 723:23, 724:6, 724:7, 724:8, 724:11, 724:17, 724:18, 724:23, 724:24, 725:3, 725:7, 725:8, 725:11, 725:14, 725:19, 725:21, 725:24, 726:1, 726:4, 726:9, 726:10, 726:11, 726:13, 726:19, 726:23, 727:1, 727:5, 727:10, 727:12, 727:13, 727:16, 727:20, 727:21, 728:1, 728:2, 728:3, 728:7, 728:8, 728:13, 728:16, 728:17, 728:18, 728:22, 729:1, 729:3, 729:5, 729:7, 729:9, 729:10, 729:12, 729:14, 729:15, 729:16, 729:18, 729:19, 729:20, 730:3, 730:4, 730:7, 730:9, 730:11, 730:15, 730:18, 730:24, 731:1, 731:3, 731:4, 731:8, 731:10, 731:12, 731:14, 731:16, 731:21, 731:24, 732:8, 732:13, 732:16, 732:18, 732:19, 732:20, 733:2, 733:4, 733:6, 733:8, 733:12, 733:13, 733:18, 733:19, 733:20, 733:22, 733:24, 734:2, 734:6, 734:10, 734:12, 734:13, 734:17, 734:18, 734:19, 734:21, 734:23, 734:24, 735:4, 735:6, 735:9, 735:15, 735:17,
---	---	--	--	--

735:22, 735:24, 736:3, 736:4, 736:6, 736:8, 736:9, 736:10, 736:11, 736:21, 736:22, 737:1, 737:2, 737:7, 737:9, 737:10, 737:18, 737:19, 737:22, 738:7, 738:10, 738:13, 738:14, 738:23, 738:24, 739:4, 739:10, 739:13, 739:15, 739:16, 739:17, 739:18, 739:19, 739:20, 739:22, 739:23, 740:2, 740:3, 740:4, 740:5, 740:6, 740:11, 740:12, 740:14, 740:15, 740:17, 740:18, 740:19, 740:20, 740:22, 740:23, 741:1, 741:3, 741:4, 741:5, 741:6, 741:7, 741:8, 741:11, 741:13, 741:19, 741:24, 742:4, 742:5, 742:6, 742:7, 742:15, 742:18, 742:21, 742:23, 743:7, 743:9, 743:10, 743:12, 743:13, 743:14, 743:18, 743:19, 744:12, 744:13, 744:14, 744:15, 744:18, 744:23, 745:3, 745:6, 745:7, 745:14, 745:17, 745:19, 745:23, 746:1, 746:2, 746:6, 746:7, 746:12, 746:18, 746:19, 746:24, 747:2, 747:5, 747:6, 747:12, 748:1, 748:2, 748:3, 748:6, 748:7, 748:8, 748:12, 748:13, 748:14, 748:19, 748:23, 749:3, 749:4, 749:8, 749:9, 749:12, 749:15, 749:18, 749:20, 749:24, 750:1, 750:2, 750:3, 750:5, 750:7, 750:8, 750:11, 750:13, 750:15, 750:18, 750:21, 750:22, 750:23, 751:1, 751:3,	751:5, 751:13, 751:14, 751:18, 751:19, 751:21, 751:22, 751:24, 752:4, 752:8, 752:11, 752:14, 752:15, 752:18, 752:23, 753:4, 753:8, 753:10, 753:12, 753:13, 753:16, 753:18, 753:20, 753:23, 754:1, 754:2, 754:3, 754:4, 754:5, 754:7, 754:9, 754:15, 754:17, 754:18, 754:19, 754:21, 754:22, 754:23, 754:24, 755:2, 755:3, 755:4, 755:5, 755:7, 755:8, 755:12, 755:13, 755:15, 755:18, 755:19, 755:20, 755:21, 755:23, 756:1, 756:2, 756:10, 756:22, 756:24, 757:9, 757:10, 757:12, 757:13, 757:16, 757:21, 758:3, 758:4, 758:5, 758:11, 758:12, 758:16, 758:17, 758:18, 758:23, 758:24, 759:4, 759:5, 759:6, 759:11, 759:12, 759:15, 759:16, 759:17, 759:18, 759:19, 759:20, 760:2, 760:7, 760:8, 760:9, 760:14, 760:15, 760:16, 760:17, 761:8, 761:14, 761:18, 761:19, 761:21, 761:24, 762:2, 762:6, 762:8, 762:10, 762:11, 762:12, 762:14, 762:15, 762:16, 762:23, 762:24, 763:5, 763:6, 763:8, 763:13, 763:14, 763:15, 764:6, 764:7, 764:8, 764:10, 764:12, 764:16, 765:3, 765:5, 765:7, 765:8, 765:9, 765:24, 766:2, 766:8, 766:9, 766:10,	766:11, 766:13, 766:14, 766:16, 766:17, 766:18, 766:19, 766:22, 767:4, 767:11, 767:12, 767:13, 767:14, 767:15, 767:17, 767:18, 767:19, 767:23, 768:1, 768:16, 768:17, 768:20, 768:22, 768:23, 768:24, 769:2, 769:10, 769:12, 769:15, 769:20, 770:3, 770:5, 770:6, 770:8, 770:11, 770:14, 770:15, 770:21, 770:23, 770:24, 771:1, 771:3, 771:4, 771:5, 771:6, 771:8, 771:11, 771:12, 771:21, 771:22, 771:23, 771:24, 772:1, 772:5, 772:10, 772:11, 772:14, 772:17, 772:21, 773:4, 773:5, 773:11, 773:14, 773:16, 773:18, 773:22, 774:4, 774:9, 774:12, 774:14, 774:16, 774:21, 774:22, 775:1, 775:2, 775:6, 775:8, 775:9, 775:14, 775:19, 775:20, 776:1, 776:2, 776:9, 776:12, 776:13, 776:18, 776:19, 776:23, 777:3, 777:4, 777:5, 777:11, 777:13, 777:18, 777:19, 777:20, 777:21, 777:23, 778:1, 778:4, 778:5, 778:6, 778:9, 778:10, 778:15, 778:18, 778:19, 779:1, 779:4, 779:7, 779:9, 779:11, 780:3, 780:6, 780:9, 780:11, 780:14, 780:16, 780:17, 780:19, 780:20, 780:22, 780:23, 781:1, 781:3, 781:4, 781:7, 781:8, 781:9, 781:10, 781:11, 781:14,	781:15, 781:17, 781:18, 781:19, 781:23, 782:3, 782:5, 782:8, 782:9, 782:10, 782:12, 782:17, 782:20, 782:22, 783:3, 783:4, 783:10, 783:14, 783:15, 783:20, 783:23, 784:1, 784:2, 784:4, 784:8, 784:10, 784:11, 784:13, 784:14, 784:15, 784:16, 784:17, 784:18, 784:19, 784:21, 785:1, 785:5, 785:6, 785:7, 785:13, 785:16, 785:17, 785:18, 785:19, 785:24, 786:1, 786:7, 786:8, 786:9, 786:11, 786:12, 786:13, 786:15, 786:17, 786:18, 786:21, 786:22, 787:2, 787:3, 787:4, 787:6, 787:14, 787:16, 787:18, 787:21, 787:24, 788:1, 788:3, 788:5, 788:8, 788:9, 788:10, 788:13, 788:14, 788:15, 788:18, 788:19, 788:22, 788:24, 789:2, 789:5, 789:6, 789:23, 790:5, 790:7, 790:8, 790:9, 790:10, 790:13, 790:16, 790:17, 790:18, 791:1, 791:2, 791:6, 791:13, 791:19, 791:21, 791:23, 792:8, 792:13, 792:19, 792:21, 793:1, 793:3, 793:5, 793:7, 793:8, 793:17, 793:18, 793:20, 793:24, 794:9, 794:18, 794:22, 794:24, 795:5, 795:7, 795:15, 796:7, 796:8, 796:13, 796:16, 796:17, 797:2, 797:3, 797:5, 797:10, 797:12, 797:13, 797:14, 797:15, 797:17, 797:19, 797:22, 798:1, 798:5, 798:8,	798:10, 798:12, 798:13, 798:15, 798:18, 798:20, 798:21, 798:24, 799:1, 799:2, 799:7, 799:11, 799:13, 799:14, 799:24, 800:2, 800:9, 800:11, 800:13, 800:15, 800:17, 800:20, 800:22, 800:24, 801:2, 801:6, 801:7, 801:11, 801:13, 801:15, 801:16, 801:21, 801:24, 802:1, 802:3, 802:4, 802:9, 802:11, 802:12, 802:14, 802:17, 802:21, 802:23, 802:24, 803:2, 803:3, 803:4, 803:7, 803:8, 803:9, 803:14, 803:18, 803:22, 803:23, 804:3, 804:8, 804:9, 804:11, 804:13, 804:19, 804:23, 805:1, 805:4, 805:5, 805:10, 805:12, 805:14, 805:15, 805:18, 805:19, 805:23, 806:3, 806:7, 806:10, 806:17, 806:19, 807:1, 807:11, 807:17, 807:18, 807:19, 807:21, 808:1, 808:3, 808:10, 808:16, 808:17, 808:21, 809:1, 809:2, 809:5, 809:8, 809:9, 809:10, 809:11, 809:15, 810:1, 810:4, 810:8, 810:9, 810:14, 810:16, 810:21, 810:24, 811:8, 811:13, 811:16, 811:22, 811:24, 812:2, 812:3, 812:4, 812:11, 812:22, 812:23, 813:6, 813:9, 813:11, 813:17, 813:21, 813:22, 813:24, 814:1, 814:2, 814:7, 814:11, 814:12, 814:13, 814:15, 814:19, 814:22, 815:5, 815:7,
---	---	--	--	---



815:12, 815:21, 815:22, 815:24, 816:1, 816:2, 816:8, 816:9, 816:10, 816:12, 816:13, 816:16, 817:10, 817:13, 817:22, 817:23, 818:6, 818:8, 818:10, 818:11, 818:12, 818:13, 818:14, 818:15, 818:18, 818:23, 818:24, 819:2, 819:3, 819:4, 819:7, 819:8, 819:9, 819:12, 819:18, 820:1, 820:11, 820:15, 820:16, 821:2, 821:11, 821:12, 821:14, 821:15, 821:19, 821:20, 822:3, 822:5, 822:7, 822:13, 822:16, 822:17, 822:20, 822:22, 823:5, 823:7, 823:11, 823:12, 823:13, 823:14, 823:17, 823:18, 823:19, 823:22, 823:23, 824:1, 824:2, 824:4, 824:8, 824:10, 824:18, 824:20, 824:21, 824:22, 824:23, 824:24, 825:9, 825:10, 825:11, 825:12, 825:14, 825:15, 825:16, 825:17, 825:19, 825:20, 825:24, 826:3, 826:4, 826:6, 826:9, 826:11, 826:12, 826:14, 826:16, 826:17, 826:20, 826:22, 827:7, 827:9, 827:11, 827:12, 827:15, 827:22, 827:23, 827:24, 828:1, 828:2, 828:5, 828:6, 828:8, 828:9, 828:15, 828:17, 828:20, 828:21, 829:2, 829:4, 829:6, 829:10, 829:14, 829:19, 829:21, 830:4, 830:8, 830:9, 830:13, 830:22, 831:4, 831:13, 831:21,	831:22, 832:1, 832:2, 832:5, 832:6, 832:13, 832:14, 832:20, 832:21, 832:23, 833:2, 833:7, 833:9, 833:14, 833:22, 834:2, 834:8, 834:12, 834:15, 834:16, 834:24, 835:2, 835:10, 835:15, 835:21, 836:8, 836:12, 836:15, 836:22, 837:3, 837:5, 837:6, 837:9, 837:10, 837:13, 837:14, 837:17, 837:19, 837:21, 837:22, 838:2, 838:4, 838:5, 838:6, 838:8, 838:9, 838:21, 839:3, 839:8, 839:11, 839:12, 839:13, 839:15, 839:23, 840:1, 840:3, 840:5, 840:15, 840:20, 840:21, 840:22, 841:8, 841:10, 841:16, 841:20, 841:23, 841:24, 842:15, 842:17, 842:18, 842:19, 842:21, 842:22, 843:6, 843:10, 843:19, 843:23, 844:3, 844:7, 844:9, 844:11, 844:12, 844:13, 844:18, 845:2, 845:5, 845:6, 845:8, 845:11, 845:13, 845:17, 845:19, 845:22, 845:23, 845:24, 846:2, 846:4, 846:12, 846:14, 846:21, 846:22, 847:2, 847:5, 847:6, 847:7, 847:8, 847:10, 847:13, 847:15, 847:20, 847:23, 847:24, 848:3, 848:4, 848:5, 848:7, 848:9, 848:14, 848:20, 848:24, 849:1, 849:2, 849:4, 849:5, 849:6, 849:7, 849:11, 849:13, 849:14, 849:16, 849:17, 849:20, 850:2, 850:3, 850:9, 850:14, 850:15,	850:17, 850:18, 850:21, 850:22, 850:23, 850:24, 851:1, 851:2, 851:8, 851:15, 851:16, 851:18, 851:20, 851:21, 851:23, 852:1, 852:2, 852:5, 852:8, 852:12, 852:14, 852:18, 852:20, 852:21, 852:24, 853:4, 853:10, 853:13, 853:14, 853:15, 853:24, 854:2, 854:3, 854:4, 854:8, 854:10, 854:14, 854:15, 854:16, 854:17, 854:20, 854:21, 854:22, 855:4, 855:9, 855:10, 855:11 <b>their</b> [71] - 643:11, 660:6, 662:2, 662:14, 667:13, 690:7, 690:12, 691:1, 694:10, 694:11, 694:12, 703:13, 703:14, 706:1, 706:7, 706:12, 714:9, 714:10, 715:9, 716:13, 722:3, 722:12, 722:22, 724:21, 733:19, 734:7, 734:11, 735:1, 735:3, 737:5, 737:11, 740:15, 745:2, 755:5, 756:23, 757:1, 757:19, 757:23, 758:15, 760:10, 761:4, 765:1, 765:2, 766:7, 766:22, 767:8, 767:9, 774:19, 778:11, 789:6, 790:18, 797:11, 797:24, 800:19, 801:21, 805:3, 819:4, 820:8, 824:15, 824:18, 824:21, 828:6, 829:11, 829:22, 830:22, 836:3, 844:20, 851:12 <b>them</b> [57] - 659:14, 661:19, 661:20, 674:20, 683:20, 684:17, 687:20, 690:7, 690:9, 706:2, 710:10, 715:12, 722:18, 722:20,	726:9, 726:13, 727:18, 730:24, 738:8, 738:9, 740:16, 740:17, 741:2, 742:15, 747:14, 747:20, 758:8, 758:9, 772:16, 776:19, 777:16, 782:5, 786:17, 801:8, 801:14, 808:2, 808:18, 808:21, 812:22, 813:16, 823:5, 824:17, 837:7, 843:17, 844:2, 844:6, 844:11, 846:6, 846:23, 847:2, 848:2, 848:6, 848:10, 848:12, 849:14, 850:4, 853:7 <b>theme</b> [2] - 848:1, 848:7 <b>themes</b> [1] - 847:24 <b>themselves</b> [2] - 642:20, 854:23 <b>then</b> [76] - 645:21, 646:10, 646:20, 647:4, 647:17, 664:22, 667:18, 682:13, 682:24, 685:11, 685:13, 685:20, 689:10, 691:13, 692:13, 693:23, 695:23, 699:2, 699:20, 700:19, 700:20, 710:1, 711:16, 712:4, 712:9, 712:12, 717:7, 718:2, 723:22, 723:24, 724:8, 727:24, 728:23, 729:7, 730:19, 730:22, 733:24, 735:17, 738:9, 739:2, 739:10, 750:24, 751:17, 755:1, 755:21, 761:22, 763:22, 769:21, 775:7, 783:22, 785:5, 785:9, 794:19, 795:10, 802:1, 802:9, 802:23, 803:4, 806:6, 806:8, 809:7, 809:8, 814:1, 814:23, 814:24, 816:17, 831:15, 832:1, 832:4, 832:5, 844:23, 846:20 <b>Then</b> [6] - 646:22, 708:12, 717:13,	731:13, 738:14, 854:9 <b>theoretically</b> [1] - 770:16 <b>There</b> [29] - 647:7, 648:11, 657:16, 659:3, 664:11, 664:23, 673:14, 685:12, 697:13, 697:21, 702:15, 717:20, 728:15, 736:2, 745:7, 746:12, 772:7, 772:15, 778:24, 788:4, 791:9, 813:7, 815:17, 829:12, 832:12, 834:11, 838:23, 843:21, 847:24 <b>there</b> [164] - 645:19, 646:10, 646:14, 648:12, 648:13, 648:14, 649:11, 651:20, 655:1, 658:2, 659:1, 659:6, 660:6, 660:10, 661:10, 661:11, 662:18, 663:8, 663:11, 663:20, 663:22, 664:5, 664:13, 665:4, 669:13, 670:2, 670:17, 672:21, 675:10, 675:18, 677:17, 680:17, 681:5, 681:19, 683:11, 684:19, 685:13, 688:16, 693:22, 696:15, 697:17, 698:3, 698:12, 698:14, 700:18, 702:3, 704:8, 711:18, 713:8, 713:18, 714:15, 714:23, 717:3, 719:24, 721:1, 721:10, 722:19, 722:24, 724:5, 729:14, 730:1, 730:7, 730:14, 730:22, 731:2, 732:20, 734:23, 735:12, 739:2, 744:8, 745:4, 745:11, 745:15, 746:10, 749:16, 749:17, 750:22, 750:24, 755:4, 755:15, 757:2, 758:10, 759:1, 759:7, 760:6, 761:9, 761:10, 763:22, 767:3, 767:4,
---	--	--	--	---

<p>768:1, 768:3, 770:2, 770:18, 771:15, 771:19, 771:20, 772:18, 772:19, 773:7, 773:12, 773:13, 773:23, 774:3, 776:24, 777:20, 777:22, 778:8, 779:8, 780:21, 781:22, 782:2, 783:8, 783:12, 783:16, 787:1, 790:22, 791:16, 792:1, 795:18, 795:22, 795:23, 796:1, 796:5, 796:8, 797:3, 798:20, 800:14, 802:15, 802:21, 805:23, 806:24, 807:2, 812:3, 812:16, 814:9, 815:16, 820:13, 821:14, 821:15, 823:21, 824:7, 825:23, 826:15, 827:19, 831:15, 832:18, 833:22, 834:15, 834:16, 837:14, 839:15, 840:2, 840:3, 843:9, 843:14, 843:24, 844:17, 844:18, 845:7, 846:9, 847:1, 847:19</p> <p><b>There's</b> [17] - 657:20, 714:11, 719:17, 724:14, 724:17, 729:15, 729:18, 729:19, 780:18, 781:5, 795:23, 826:13, 826:24, 827:5, 846:18, 847:11</p> <p><b>there's</b> [25] - 646:4, 646:22, 647:1, 679:15, 679:17, 693:3, 716:16, 726:22, 729:21, 735:15, 739:8, 749:23, 751:4, 754:6, 768:18, 784:6, 790:22, 799:4, 804:6, 821:9, 832:2, 842:3, 844:2, 849:21</p> <p><b>Therefore</b> [1] - 855:4 <b>therefore</b> [4] - 745:16, 752:7, 783:19, 784:6</p> <p><b>these</b> [48] - 649:21, 657:18, 675:1,</p>	<p>675:12, 676:16, 684:4, 685:6, 685:8, 685:17, 687:19, 712:4, 712:19, 715:3, 720:10, 724:11, 724:13, 725:23, 737:9, 745:16, 759:2, 759:21, 761:4, 769:13, 770:4, 771:7, 771:17, 773:19, 776:3, 776:21, 784:11, 790:19, 796:24, 798:7, 819:8, 822:9, 823:8, 824:14, 828:2, 839:22, 841:11, 842:13, 847:16, 848:20, 849:19, 850:12, 850:19, 851:4</p> <p><b>These</b> [7] - 659:4, 725:17, 776:1, 776:5, 804:20, 823:10, 853:3</p> <p><b>they</b> [218] - 652:2, 653:1, 655:4, 659:6, 659:8, 659:13, 659:20, 659:21, 659:23, 659:24, 660:1, 661:15, 661:19, 662:1, 662:9, 662:11, 662:12, 662:13, 664:10, 664:16, 664:18, 667:15, 671:4, 673:22, 674:5, 674:15, 674:21, 677:18, 678:13, 678:18, 680:13, 680:17, 680:18, 683:15, 683:16, 683:19, 684:18, 684:20, 685:3, 690:6, 690:8, 690:9, 690:24, 691:2, 697:3, 698:6, 698:7, 698:10, 699:3, 699:6, 699:7, 699:12, 699:13, 700:20, 703:14, 705:1, 705:19, 705:20, 706:2, 706:5, 706:9, 706:10, 706:11, 706:12, 707:11, 708:6, 708:7, 708:8, 708:9, 708:11, 712:12, 714:9, 714:18, 715:19, 715:20, 717:19, 718:8, 720:8, 720:12, 721:2, 721:5, 722:3,</p>	<p>722:5, 722:7, 722:19, 722:23, 723:5, 723:6, 723:8, 723:14, 723:15, 723:19, 723:22, 723:24, 724:5, 724:19, 724:20, 726:20, 726:21, 726:22, 726:23, 727:14, 729:3, 730:14, 730:15, 733:5, 734:8, 734:10, 734:16, 734:22, 735:3, 735:4, 735:5, 737:6, 743:16, 743:21, 744:2, 745:6, 745:8, 745:17, 747:13, 747:20, 750:7, 751:14, 752:19, 752:21, 756:11, 756:14, 756:15, 756:18, 756:20, 757:6, 757:8, 757:9, 757:10, 757:11, 757:12, 757:14, 757:19, 757:20, 757:24, 758:1, 758:14, 758:16, 759:4, 759:6, 759:20, 764:24, 765:2, 765:15, 766:23, 767:7, 768:4, 768:9, 774:18, 776:13, 776:21, 776:22, 782:20, 786:16, 786:17, 787:21, 791:12, 792:9, 796:20, 798:5, 802:13, 802:17, 804:4, 805:8, 805:9, 807:6, 807:7, 810:17, 814:23, 814:24, 816:13, 816:17, 818:11, 824:4, 824:5, 824:16, 824:19, 826:17, 827:19, 827:21, 828:16, 829:24, 830:12, 830:14, 831:1, 833:4, 833:9, 833:10, 835:23, 837:20, 840:6, 843:24, 844:8, 845:6, 846:21, 847:3, 847:5, 848:19, 849:15, 850:17, 851:11, 851:19, 852:8</p> <p><b>They</b> [58] - 646:18, 651:24, 652:1, 661:14, 661:15,</p>	<p>661:16, 662:10, 662:11, 665:21, 665:23, 665:24, 668:1, 675:2, 678:14, 678:20, 680:10, 698:20, 699:14, 700:11, 703:12, 704:24, 705:19, 706:3, 706:4, 706:7, 706:10, 706:20, 708:8, 720:14, 722:19, 723:4, 723:13, 723:21, 725:5, 725:22, 734:4, 739:7, 739:20, 741:12, 745:10, 753:18, 756:12, 756:17, 767:1, 779:9, 791:13, 796:19, 796:20, 796:21, 798:6, 798:7, 814:10, 821:1, 824:14, 824:20, 830:5, 837:3, 850:10</p> <p><b>They'd</b> [1] - 717:12 <b>they'd</b> [3] - 707:12, 717:13, 797:1</p> <p><b>they'll</b> [3] - 826:16, 849:22, 849:23</p> <p><b>they're</b> [16] - 659:6, 659:12, 661:20, 673:23, 676:16, 692:23, 692:24, 693:4, 726:13, 753:17, 753:20, 831:22, 847:4, 847:22</p> <p><b>They're</b> [2] - 692:24, 847:5</p> <p><b>they've</b> [2] - 674:3, 694:12</p> <p><b>thing</b> [15] - 651:3, 667:16, 668:22, 685:16, 716:21, 768:7, 768:13, 768:16, 776:9, 777:7, 786:24, 795:12, 807:3, 842:7, 853:9</p> <p><b>things</b> [22] - 675:5, 680:4, 687:6, 712:11, 714:17, 714:23, 716:7, 716:12, 716:14, 716:16, 720:16, 724:20, 728:16, 729:3, 806:1, 826:4, 827:15, 838:18, 838:20, 844:4, 847:21, 854:4</p> <p><b>think</b> [129] - 644:23,</p>	<p>645:5, 648:6, 648:12, 649:11, 652:6, 658:12, 659:16, 661:6, 662:17, 662:18, 671:9, 673:3, 673:16, 679:10, 680:8, 680:13, 680:22, 681:6, 681:8, 681:10, 694:5, 694:19, 695:13, 699:11, 701:24, 708:6, 708:23, 709:2, 709:14, 711:5, 712:2, 712:4, 712:12, 715:5, 716:4, 716:16, 716:19, 716:24, 717:16, 717:22, 717:23, 718:5, 721:1, 722:2, 723:6, 724:5, 726:16, 729:3, 729:23, 730:19, 733:15, 735:15, 735:21, 737:4, 741:2, 741:18, 743:24, 744:23, 745:3, 745:8, 745:12, 745:13, 745:20, 746:1, 746:8, 746:12, 746:19, 747:3, 747:18, 753:16, 754:20, 754:24, 757:5, 758:2, 758:10, 760:18, 760:19, 761:7, 772:17, 775:4, 779:2, 783:5, 784:1, 784:23, 785:2, 791:15, 792:8, 793:1, 800:24, 801:4, 812:17, 813:4, 821:8, 825:22, 826:2, 826:4, 826:10, 826:14, 827:7, 828:4, 828:5, 829:4, 830:6, 831:1, 831:6, 831:21, 834:23, 836:18, 838:18, 842:10, 843:7, 843:10, 843:11, 843:12, 843:19, 845:4, 846:18, 847:17, 847:22, 848:5, 848:11, 848:23, 849:21, 849:23, 851:20, 852:8, 852:13, 853:7</p> <p><b>thinking</b> [5] - 672:1, 765:1, 765:2, 816:23, 843:22</p> <p><b>third</b> [2] - 820:15,</p>
---	---	---	---	---

<p>845:16  <b>This</b> <sup>[20]</sup> - 642:3,  673:6, 676:10, 685:2,  686:3, 705:4, 709:14,  728:16, 741:13,  746:22, 763:4, 764:7,  765:14, 765:18,  773:18, 807:16,  821:8, 824:17,  842:10, 852:20  <b>this</b> <sup>[203]</sup> - 642:13,  642:15, 642:19,  643:10, 644:12,  645:3, 647:22, 651:2,  652:17, 656:13,  659:16, 660:15,  662:18, 663:1, 664:4,  664:12, 666:23,  667:8, 667:24, 668:4,  673:7, 673:14,  673:15, 673:16,  674:6, 677:1, 679:3,  679:4, 680:1, 681:19,  682:4, 683:12, 685:5,  686:9, 686:15,  687:10, 691:22,  693:2, 693:3, 694:7,  694:19, 695:13,  695:14, 695:18,  698:10, 704:17,  706:15, 709:7,  709:15, 709:16,  713:13, 716:19,  717:15, 718:3,  718:18, 720:6,  720:14, 722:14,  724:1, 725:6, 725:11,  727:9, 727:15,  727:20, 729:9,  729:14, 729:24,  730:1, 730:7, 731:4,  731:21, 732:2, 733:6,  735:20, 736:11,  737:1, 738:5, 740:14,  741:14, 741:19,  741:24, 744:24,  747:23, 748:22,  749:8, 749:18, 751:3,  751:8, 752:12, 754:6,  754:13, 754:14,  755:1, 755:3, 755:11,  756:11, 757:21,  761:17, 762:16,  762:21, 763:10,  763:11, 763:14,  764:2, 764:5, 764:6,  764:15, 764:19,  764:20, 764:22,</p>	<p>765:10, 765:24,  766:6, 767:22, 768:7,  768:10, 768:14,  768:20, 769:5,  769:11, 771:7,  771:13, 772:5, 774:2,  777:3, 780:10,  780:21, 786:5, 786:6,  789:7, 789:20,  789:21, 791:10,  794:20, 795:10,  795:15, 796:3, 796:6,  796:15, 797:8,  800:19, 801:14,  801:17, 803:14,  803:18, 805:8,  805:14, 806:5,  811:11, 812:20,  813:4, 814:5, 815:12,  817:12, 817:14,  820:13, 820:18,  821:4, 821:18,  822:10, 823:3, 824:3,  826:7, 826:20,  826:21, 828:4, 828:6,  828:12, 829:1, 829:7,  830:15, 830:18,  830:21, 830:23,  831:10, 831:14,  834:1, 834:2, 837:7,  839:7, 839:17,  839:18, 845:21,  846:7, 847:17,  851:10, 851:13,  851:21, 852:19,  852:21, 852:23,  852:24, 853:3, 853:6,  853:7, 853:11,  853:12, 854:5, 855:3,  855:11  <b>Thomas</b> <sup>[2]</sup> - 640:21,  644:1  <b>THOMAS</b> <sup>[6]</sup> - 644:7,  654:14, 689:15,  856:4, 856:10, 857:3  <b>thorough</b> <sup>[1]</sup> -  809:22  <b>thoroughness</b> <sup>[1]</sup> -  835:22  <b>Those</b> <sup>[19]</sup> - 645:23,  646:6, 646:17, 647:4,  647:17, 655:2,  665:16, 672:21,  675:16, 714:17,  724:17, 726:24,  772:11, 787:22,  790:4, 791:22,  792:24, 807:23, 808:3</p>	<p><b>those</b> <sup>[137]</sup> - 646:2,  646:12, 646:18,  646:19, 647:6,  647:15, 649:13,  655:22, 659:13,  661:23, 662:7,  665:16, 670:24,  671:8, 671:10,  674:23, 675:4,  675:11, 675:13,  675:15, 680:21,  683:5, 691:8, 695:5,  695:7, 695:11,  695:17, 696:7,  696:19, 697:5, 698:3,  698:9, 698:12,  698:17, 700:5,  702:18, 704:1,  705:11, 707:7,  707:14, 707:16,  709:4, 710:2, 711:18,  712:5, 712:11,  712:13, 713:9,  713:13, 714:22,  715:11, 716:7,  716:14, 716:15,  726:8, 726:15,  727:19, 728:2,  728:19, 731:12,  734:14, 734:15,  735:2, 735:7, 735:9,  736:20, 737:20,  746:9, 746:11,  746:17, 748:10,  751:15, 751:22,  755:16, 758:23,  772:2, 772:9, 776:24,  779:13, 780:24,  783:22, 786:3, 787:9,  787:20, 788:20,  789:5, 790:5, 790:10,  790:12, 791:18,  792:23, 793:4, 796:3,  797:19, 797:20,  802:12, 806:3, 807:3,  807:5, 807:9, 807:13,  807:14, 807:22,  808:8, 809:16,  813:23, 814:13,  815:11, 816:11,  817:3, 817:5, 817:16,  817:24, 818:1,  819:10, 819:11,  820:8, 821:5, 822:8,  824:12, 825:24,  829:11, 831:17,  831:18, 832:3,  832:13, 834:14,</p>	<p>835:23, 836:1, 838:9,  839:20, 840:7,  840:19, 850:16  <b>though</b> <sup>[5]</sup> - 652:5,  750:11, 761:24,  771:19, 808:23  <b>thought</b> <sup>[29]</sup> - 690:8,  702:21, 711:2,  756:20, 757:10,  757:14, 757:20,  758:1, 758:14, 759:6,  773:11, 775:18,  776:22, 779:3, 805:8,  808:18, 812:24,  835:3, 838:11,  838:23, 839:10,  839:16, 842:6, 844:7,  844:14, 845:2,  845:14, 847:9, 849:21  <b>thoughts</b> <sup>[2]</sup> -  843:13, 850:2  <b>thousand</b> <sup>[1]</sup> - 727:3  <b>thousands</b> <sup>[1]</sup> -  854:11  <b>three</b> <sup>[37]</sup> - 646:10,  647:16, 649:21,  650:3, 664:3, 668:9,  668:17, 668:23,  669:4, 671:1, 687:9,  690:10, 691:3,  692:17, 698:4, 709:3,  718:22, 720:10,  725:1, 729:9, 729:16,  734:3, 734:6, 734:24,  735:3, 735:9, 747:1,  794:1, 794:8, 818:15,  820:5, 820:8, 832:2,  833:16, 839:1, 842:2,  847:19  <b>three-phase</b> <sup>[3]</sup> -  668:9, 668:23, 669:4  <b>through</b> <sup>[54]</sup> -  646:23, 647:19,  647:21, 652:2, 657:9,  667:21, 672:15,  674:4, 689:8, 693:21,  703:1, 706:4, 710:13,  711:10, 718:13,  719:14, 723:16,  726:8, 729:7, 736:22,  739:19, 740:3, 746:6,  749:4, 749:9, 749:20,  755:7, 758:4, 763:7,  766:18, 769:14,  772:1, 789:9, 789:13,  791:2, 792:5, 794:18,  796:8, 796:10,  796:19, 798:21,</p>	<p>814:14, 815:23,  823:3, 827:16,  828:16, 835:2, 838:5,  841:7, 847:1, 847:24,  848:7, 854:12  <b>Throughout</b> <sup>[1]</sup> -  651:19  <b>throughout</b> <sup>[12]</sup> -  645:12, 666:14,  667:22, 675:9, 682:9,  701:10, 711:13,  711:20, 730:3,  732:16, 801:21,  825:20  <b>throwing</b> <sup>[1]</sup> - 800:22  <b>thrust</b> <sup>[1]</sup> - 844:12  <b>thunderstorms</b> <sup>[1]</sup> -  836:19  <b>Thursday</b> <sup>[6]</sup> - 640:6,  720:1, 735:18,  735:21, 798:19, 822:2  <b>ticket</b> <sup>[2]</sup> - 789:7,  798:9  <b>tied</b> <sup>[1]</sup> - 798:5  <b>time</b> <sup>[109]</sup> - 642:19,  643:11, 644:12,  648:13, 648:14,  650:7, 651:22,  656:13, 661:16,  664:4, 666:23,  667:24, 671:8,  672:10, 672:12,  674:1, 677:12,  677:19, 678:5,  680:12, 690:5,  690:13, 691:5,  691:24, 695:15,  695:18, 698:11,  699:18, 701:4, 701:7,  702:13, 703:19,  705:1, 707:17,  707:20, 708:1,  708:23, 709:12,  710:11, 710:19,  712:17, 712:24,  715:3, 715:8, 715:9,  715:20, 718:3,  718:21, 719:3, 720:6,  722:21, 723:7,  724:11, 730:6,  738:11, 739:11,  741:6, 747:23, 748:3,  755:5, 756:10,  758:18, 758:20,  766:10, 767:7,  782:20, 784:21,  785:4, 785:11,  785:24, 789:16,</p>
---	--	--	---	--

789:17, 790:11, 794:2, 794:9, 794:22, 796:6, 800:7, 803:1, 805:19, 810:9, 811:24, 813:10, 813:12, 813:17, 814:7, 814:16, 816:1, 816:5, 816:10, 816:12, 818:12, 821:4, 822:6, 826:4, 826:13, 828:16, 829:1, 836:3, 837:4, 837:6, 839:7, 845:1, 849:9, 850:17, 853:17, 854:6, 855:3 <b>time-consuming</b> [1] - 785:11 <b>timeline</b> [4] - 665:9, 671:18, 671:21, 671:24 <b>timely</b> [3] - 730:16, 730:24, 737:7 <b>times</b> [29] - 655:14, 666:15, 712:2, 712:19, 713:14, 716:20, 717:1, 718:4, 718:9, 723:1, 723:4, 742:16, 744:24, 746:9, 746:12, 752:5, 781:9, 794:19, 799:3, 801:18, 802:21, 808:21, 811:18, 812:18, 821:13, 821:17, 821:21, 821:23 <b>title</b> [9] - 643:20, 654:3, 688:4, 688:7, 688:20, 810:7, 820:1, 820:2, 841:21 <b>titled</b> [1] - 822:17 <b>to</b> [1047] - 642:9, 642:10, 642:13, 643:11, 644:11, 644:19, 644:20, 644:23, 645:5, 645:7, 645:13, 646:2, 646:6, 646:15, 646:20, 647:2, 647:7, 647:8, 647:12, 647:13, 647:22, 647:23, 648:1, 648:7, 648:9, 648:10, 648:16, 650:6, 650:14, 650:16, 650:19, 651:2, 651:8, 651:24, 652:1, 652:7, 652:9, 652:14, 653:2, 653:9, 653:16, 653:17,	653:19, 654:24, 655:2, 655:3, 655:4, 655:8, 655:9, 655:20, 656:2, 656:14, 656:18, 657:5, 657:12, 657:18, 657:21, 658:15, 658:18, 658:24, 659:5, 660:4, 660:9, 660:13, 660:14, 661:2, 661:9, 661:11, 661:20, 661:21, 662:8, 662:10, 662:11, 662:12, 662:14, 663:4, 663:6, 663:10, 663:19, 664:5, 664:11, 664:22, 665:9, 665:10, 665:14, 665:17, 666:8, 667:4, 667:7, 667:8, 667:14, 667:17, 667:19, 668:8, 669:9, 669:16, 669:17, 669:23, 670:2, 670:11, 670:24, 671:4, 671:10, 671:16, 671:17, 671:18, 671:23, 672:7, 672:8, 672:19, 672:20, 673:1, 673:4, 673:5, 673:8, 673:16, 673:20, 673:22, 673:23, 673:24, 674:4, 674:6, 674:7, 674:13, 674:18, 674:20, 674:24, 675:5, 675:11, 675:12, 675:19, 676:1, 676:3, 676:11, 676:16, 676:17, 676:19, 677:13, 677:22, 678:5, 678:9, 679:1, 679:3, 679:5, 679:10, 679:15, 679:16, 680:2, 680:3, 680:9, 680:10, 680:17, 680:21, 680:23, 681:10, 681:24, 682:3, 682:6, 682:10, 682:12, 682:13, 682:19, 682:24, 683:3, 683:4, 683:5, 683:8, 683:16, 683:19, 683:22, 684:1, 684:2, 684:4, 684:16, 684:18, 684:21, 685:8,	685:17, 685:19, 685:20, 685:21, 686:1, 686:11, 687:7, 687:17, 687:18, 687:19, 687:21, 688:17, 689:8, 689:11, 689:22, 689:23, 689:24, 690:7, 691:6, 691:10, 691:14, 691:19, 692:10, 692:15, 693:10, 693:14, 693:21, 693:24, 694:5, 694:6, 694:24, 695:14, 695:15, 695:17, 695:19, 695:20, 695:24, 696:6, 696:8, 696:14, 697:18, 697:19, 697:24, 698:4, 698:18, 699:2, 699:7, 699:8, 699:15, 699:17, 700:5, 700:11, 700:12, 700:16, 700:20, 701:2, 701:5, 701:10, 701:21, 702:5, 702:11, 702:12, 702:14, 702:19, 703:6, 703:19, 703:22, 704:1, 704:5, 704:15, 705:10, 705:11, 705:12, 705:16, 705:22, 706:4, 706:8, 706:13, 706:14, 706:24, 707:6, 707:7, 707:12, 707:16, 708:2, 708:4, 708:7, 708:13, 708:15, 708:20, 709:6, 709:15, 709:17, 710:2, 710:14, 711:17, 712:8, 712:17, 712:18, 712:24, 713:6, 713:18, 713:23, 714:1, 714:4, 714:12, 714:21, 715:7, 715:10, 715:12, 715:18, 716:10, 716:18, 716:20, 716:21, 716:24, 717:3, 717:11, 718:11, 718:15, 718:20, 718:22, 719:2, 719:3, 719:4, 719:6, 719:8, 719:10, 719:12,	719:15, 719:16, 719:17, 720:3, 720:10, 720:11, 720:19, 720:20, 720:23, 721:4, 721:10, 722:6, 722:14, 722:17, 722:18, 722:20, 722:22, 723:2, 723:8, 723:13, 723:19, 723:21, 723:23, 724:6, 724:7, 724:8, 724:10, 724:12, 724:13, 725:20, 725:22, 725:24, 726:1, 726:2, 726:4, 726:6, 726:12, 726:15, 726:18, 726:21, 726:23, 727:3, 727:5, 727:7, 727:18, 727:19, 727:23, 728:9, 728:20, 728:21, 728:23, 729:5, 729:20, 729:23, 729:24, 730:2, 730:6, 730:9, 730:10, 730:14, 730:19, 730:24, 731:1, 731:4, 731:11, 731:20, 732:10, 732:13, 732:14, 732:22, 732:23, 733:7, 733:8, 733:9, 733:11, 733:15, 733:22, 733:23, 733:24, 734:5, 734:11, 734:24, 735:1, 735:9, 735:22, 735:24, 736:8, 736:11, 736:12, 736:20, 737:2, 737:3, 737:20, 737:24, 738:3, 738:8, 738:9, 738:17, 738:19, 738:22, 738:23, 739:3, 739:6, 739:20, 739:21, 740:16, 741:14, 741:16, 741:20, 741:22, 742:1, 742:6, 742:8, 742:15, 742:18, 742:23, 743:6, 743:9, 743:10, 743:14, 743:17, 743:18, 743:23, 744:1, 744:6, 744:10, 744:13, 744:15, 744:18, 744:20,	744:21, 745:5, 745:9, 745:11, 745:18, 745:19, 745:20, 745:21, 745:24, 746:1, 746:2, 746:22, 747:7, 747:22, 747:24, 748:7, 748:9, 748:10, 748:18, 748:22, 749:11, 749:12, 749:13, 750:1, 750:19, 750:21, 750:22, 751:1, 751:2, 751:12, 751:16, 751:18, 751:20, 751:23, 752:7, 752:8, 752:22, 753:1, 753:2, 753:5, 753:9, 753:11, 753:22, 754:10, 754:12, 754:20, 754:24, 755:4, 755:11, 755:14, 755:18, 755:19, 755:20, 755:23, 755:24, 756:1, 756:3, 756:6, 756:12, 756:21, 757:4, 757:9, 757:14, 757:16, 757:23, 758:1, 758:3, 758:12, 758:13, 758:15, 758:17, 758:18, 758:22, 759:4, 759:6, 759:8, 759:14, 759:17, 759:19, 759:21, 759:22, 760:7, 760:8, 760:9, 760:13, 760:22, 761:1, 761:3, 761:4, 761:10, 761:18, 761:20, 761:21, 761:23, 762:5, 762:16, 763:2, 763:15, 763:17, 763:24, 764:11, 764:13, 764:15, 766:5, 766:8, 766:17, 766:20, 767:12, 767:13, 767:14, 767:15, 767:19, 768:10, 768:16, 768:17, 768:19, 768:21, 768:22, 768:23, 768:24, 769:2, 769:6, 769:8, 769:9, 769:10, 769:11, 770:10, 771:12, 772:3, 772:8, 772:22, 773:2, 773:3,
---	---	--	---	---

773:4, 773:9, 773:10,  
773:14, 773:16,  
773:21, 774:7, 774:8,  
775:4, 775:5, 775:15,  
775:18, 775:21,  
776:11, 776:16,  
776:23, 777:1, 777:7,  
777:10, 777:21,  
777:23, 778:4,  
778:10, 779:5, 779:6,  
779:12, 779:15,  
779:23, 780:2, 780:4,  
780:9, 780:16,  
780:23, 781:2, 781:3,  
781:15, 781:16,  
781:19, 782:4, 782:5,  
782:7, 782:8, 782:9,  
782:11, 783:2, 783:6,  
783:10, 783:15,  
783:23, 784:2,  
784:11, 784:14,  
784:16, 785:6,  
785:12, 785:19,  
785:20, 785:22,  
786:1, 786:2, 786:3,  
786:6, 786:7, 786:14,  
787:5, 787:14,  
787:23, 788:8, 788:9,  
788:18, 788:20,  
789:9, 789:21,  
789:22, 790:2, 790:5,  
790:7, 790:15,  
790:18, 790:23,  
791:5, 791:13,  
791:20, 791:24,  
792:1, 792:5, 792:6,  
792:8, 792:17, 793:2,  
793:4, 793:6, 793:9,  
793:11, 793:13,  
794:4, 794:6, 794:13,  
794:15, 794:16,  
794:17, 794:20,  
794:24, 795:8,  
795:11, 795:13,  
795:16, 795:21,  
796:1, 796:2, 796:4,  
796:9, 796:14,  
796:18, 796:22,  
797:5, 797:9, 797:14,  
797:17, 797:18,  
797:24, 798:3, 798:7,  
798:13, 799:1, 799:2,  
799:4, 799:6, 799:13,  
799:15, 799:16,  
799:19, 799:21,  
800:1, 800:2, 800:12,  
800:13, 800:16,  
800:24, 801:1, 801:2,

801:11, 801:18,  
801:19, 802:2, 802:3,  
802:9, 802:10,  
802:24, 803:9,  
803:15, 804:2, 804:3,  
804:10, 804:13,  
804:17, 804:20,  
805:2, 805:4, 805:7,  
805:9, 805:17,  
805:20, 805:22,  
806:3, 806:7, 807:5,  
807:14, 807:16,  
807:19, 807:21,  
807:22, 808:2, 808:3,  
808:6, 808:8, 809:11,  
809:21, 809:23,  
810:14, 810:19,  
812:6, 812:17, 813:2,  
813:8, 813:21,  
814:13, 815:1, 815:4,  
816:1, 816:8, 816:10,  
816:12, 817:3,  
817:10, 817:11,  
817:12, 817:16,  
817:23, 818:9,  
818:12, 818:13,  
818:14, 818:18,  
818:19, 819:3, 819:4,  
819:10, 819:13,  
819:15, 820:5,  
820:16, 821:5, 821:7,  
821:8, 821:11,  
821:13, 821:17,  
821:18, 822:3, 822:6,  
822:16, 822:19,  
822:20, 822:22,  
823:2, 823:4, 823:6,  
823:11, 823:16,  
823:18, 823:21,  
823:23, 824:4,  
824:15, 824:19,  
824:22, 824:23,  
824:24, 825:1, 825:2,  
825:10, 825:11,  
825:17, 825:22,  
826:7, 826:11,  
826:12, 826:14,  
827:11, 828:1, 828:7,  
828:8, 828:14,  
828:19, 829:18,  
830:7, 830:8, 830:12,  
830:17, 830:22,  
831:1, 831:9, 831:17,  
831:18, 831:19,  
831:20, 832:23,  
832:24, 833:3, 833:7,  
833:20, 833:21,  
834:22, 835:4, 835:6,

835:8, 835:12,  
835:13, 836:2, 836:3,  
836:5, 836:13, 837:9,  
837:10, 837:15,  
837:17, 838:14,  
839:1, 839:4, 839:11,  
839:15, 840:5, 840:6,  
840:10, 840:11,  
840:21, 841:3, 841:4,  
841:6, 841:10,  
841:19, 841:21,  
841:22, 842:1, 842:5,  
842:7, 843:4, 843:8,  
843:20, 844:1, 844:3,  
844:4, 844:5, 844:7,  
844:8, 844:15,  
844:19, 844:20,  
844:23, 844:24,  
845:11, 845:15,  
846:2, 846:10,  
846:13, 846:16,  
846:20, 846:21,  
846:23, 847:2, 847:4,  
847:10, 847:11,  
847:13, 847:16,  
847:21, 848:4, 848:9,  
848:17, 848:23,  
848:24, 849:2, 849:6,  
849:9, 849:13,  
849:15, 850:3,  
850:13, 850:19,  
851:3, 851:5, 851:19,  
852:4, 852:5, 852:8,  
852:10, 852:12,  
852:14, 852:17,  
853:4, 853:10,  
853:12, 853:15,  
853:17, 853:18,  
853:20, 853:22,  
854:4, 854:10,  
854:12, 854:14,  
854:16, 854:18,  
854:22  
**To** [11] - 642:16,  
647:9, 655:21,  
656:13, 716:3,  
719:18, 777:6,  
777:15, 798:15,  
810:21, 852:6  
**today** [6] - 642:23,  
643:5, 643:8, 830:16,  
838:21, 849:24  
**Today's** [1] - 644:19  
**today's** [1] - 845:22  
**together** [5] -  
683:18, 684:12,  
715:6, 843:13, 851:22  
**told** [9] - 667:9,

704:8, 706:17,  
706:18, 707:3,  
707:10, 707:11,  
759:5, 844:23  
**Tom** [3] - 705:8,  
748:16, 845:20  
**tomorrow** [4] -  
643:8, 643:9, 818:20,  
854:6  
**tone** [1] - 791:15  
**too** [6] - 678:16,  
737:24, 738:1, 766:5,  
795:5, 848:23  
**took** [14] - 687:5,  
690:3, 693:12,  
693:13, 702:9,  
717:21, 733:12,  
733:16, 739:11,  
777:3, 808:19,  
808:20, 818:10, 851:3  
**tool** [8] - 667:6,  
667:7, 679:23,  
788:22, 789:14,  
792:5, 795:19, 796:3  
**tools** [1] - 716:15  
**top** [8] - 658:11,  
663:2, 663:7, 709:9,  
781:14, 784:19,  
793:20, 847:20  
**topology** [2] - 645:2,  
657:12  
**tornado** [1] - 811:4  
**tornados** [1] -  
836:19  
**total** [4] - 771:1,  
771:6, 788:15, 807:20  
**totally** [2] - 802:13,  
824:20  
**touch** [1] - 676:15  
**tough** [1] - 809:21  
**town** [4] - 704:24,  
711:3, 725:9, 738:4  
**Town** [3] - 662:5,  
722:6, 798:20  
**Town's** [1] - 743:19  
**towns** [6] - 652:21,  
654:22, 656:5, 709:3,  
730:9, 731:1  
**Towns** [11] - 653:6,  
721:2, 731:8, 731:10,  
734:3, 734:6, 734:24,  
735:3, 735:10,  
772:11, 793:3  
**Townsend** [5] -  
646:23, 646:24,  
647:19, 822:2  
**track** [4] - 781:16,

793:7, 806:16, 844:8  
**tracked** [2] - 776:11,  
801:21  
**traditionally** [1] -  
772:20  
**traffic** [5] - 714:13,  
789:3, 797:6, 797:13  
**train** [1] - 673:8  
**trained** [4] - 662:8,  
674:11, 742:12,  
790:16  
**training** [5] - 673:12,  
673:16, 674:3, 674:4,  
674:10  
**training-type** [1] -  
674:3  
**transcript** [5] -  
784:17, 824:18,  
839:2, 839:8, 855:11  
**transcripts** [1] -  
838:7  
**transfer** [1] - 723:22  
**transferred** [1] -  
684:13  
**transformer** [2] -  
646:8  
**transformers** [3] -  
646:5, 646:6, 657:20  
**translate** [2] -  
716:20, 716:24  
**Transmission** [1] -  
677:20  
**transmission** [37] -  
645:2, 645:9, 647:14,  
647:15, 657:7, 657:8,  
668:6, 668:8, 668:12,  
669:12, 676:20,  
677:21, 678:1,  
679:14, 679:15,  
680:2, 680:14,  
680:16, 681:5,  
685:20, 689:6,  
690:12, 690:15,  
690:18, 694:13,  
694:20, 694:22,  
695:2, 695:6, 700:1,  
700:6, 700:11,  
700:12, 701:16,  
701:20, 744:12,  
744:13  
**transmission-level**  
[1] - 678:1  
**transmitted** [1] -  
772:3  
**transportation** [1] -  
659:20  
**Travel** [2] - 713:16,

<p>713:22  <b>travel</b> [3] - 659:21,  715:9, 830:7  <b>tree</b> [4] - 664:23,  665:4, 665:18, 679:18  <b>Tree</b> [1] - 684:24  <b>trees</b> [7] - 678:20,  691:2, 691:3, 714:2,  717:13, 717:19  <b>treetop</b> [1] - 678:15  <b>tremendous</b> [1] -  825:14  <b>tried</b> [6] - 720:19,  739:7, 791:13, 844:5,  847:4, 853:12  <b>tries</b> [1] - 739:6  <b>trouble</b> [1] - 692:4  <b>troubles</b> [3] - 690:7,  711:14, 711:15  <b>truck</b> [1] - 704:14  <b>trucks</b> [3] - 659:22,  683:9, 715:9  <b>true</b> [4] - 649:18,  719:19, 838:21,  855:11  <b>trunks</b> [4] - 789:12,  789:22, 791:22, 792:6  <b>truth</b> [1] - 742:18  <b>try</b> [9] - 666:8, 719:2,  720:23, 727:19,  728:5, 728:21,  738:23, 797:9, 848:24  <b>trying</b> [31] - 644:20,  660:14, 661:11,  679:1, 679:5, 681:10,  694:5, 695:15,  695:24, 696:6,  700:11, 707:16,  708:12, 714:4,  714:12, 716:20,  719:8, 737:3, 739:3,  743:23, 744:13,  745:21, 775:5,  791:24, 794:13,  794:20, 804:13,  805:17, 815:4, 836:2,  844:4  <b>tucked</b> [1] - 777:5  <b>Tuesday</b> [3] -  703:10, 735:14, 821:9  <b>turn</b> [7] - 658:15,  720:23, 749:11,  749:12, 769:11,  780:2, 803:22  <b>turned</b> [1] - 658:18  <b>two</b> [57] - 645:18,  646:4, 646:17,</p>	<p>646:23, 648:8,  648:11, 651:1, 651:4,  656:22, 657:20,  664:13, 664:23,  665:4, 665:18, 675:1,  687:19, 693:3,  696:13, 698:21,  704:12, 716:10,  718:2, 718:14,  718:20, 718:21,  718:22, 723:16,  724:14, 724:15,  725:1, 725:4, 726:16,  733:18, 747:5, 756:7,  771:17, 772:7,  776:12, 779:8, 791:9,  791:18, 791:22,  799:24, 803:5,  804:20, 807:8,  820:13, 827:20,  829:8, 829:12, 830:6,  832:2, 835:20, 839:2,  842:1, 846:4  <b>Two</b> [3] - 646:15,  687:6, 833:16  <b>type</b> [12] - 674:3,  679:22, 717:5,  719:21, 726:20,  730:4, 746:2, 748:2,  784:20, 803:14,  803:19, 804:20  <b>types</b> [11] - 645:15,  712:19, 718:6,  724:14, 724:15,  739:22, 745:16,  748:10, 791:9,  791:18, 804:20  <b>typical</b> [4] - 718:13,  725:14, 725:15,  749:22  <b>Typically</b> [2] -  724:22, 770:15  <b>typically</b> [13] -  651:23, 664:13,  666:2, 666:5, 675:22,  680:20, 717:8,  726:11, 753:1,  753:19, 770:9,  770:13, 790:10</p>	<p>773:3, 776:11,  776:16, 791:5  <b>unanswered</b> [2] -  793:10, 793:18  <b>unavailable</b> [1] -  785:5  <b>unaware</b> [1] - 679:20  <b>unbilled</b> [5] - 780:17,  780:19, 783:4, 783:5,  783:13  <b>uncertainty</b> [2] -  740:19, 740:21  <b>under</b> [8] - 644:11,  652:17, 653:5, 676:9,  712:8, 749:22, 753:9,  820:23  <b>underestimated</b> [1] -  716:5  <b>underground</b> [3] -  697:6, 697:9, 697:12  <b>underlie</b> [1] - 781:23  <b>underlying</b> [1] -  782:10  <b>understand</b> [38] -  645:6, 647:9, 647:23,  652:7, 656:10,  660:10, 660:14,  673:22, 696:5, 724:7,  730:3, 730:5, 730:11,  730:17, 737:4,  740:20, 741:10,  741:13, 741:22,  742:10, 743:13,  743:14, 749:3,  749:22, 751:15,  755:1, 755:6, 758:16,  769:24, 770:18,  775:12, 776:2, 780:6,  782:17, 786:11,  786:13, 788:12, 815:4  <b>understanding</b> [8] -  645:8, 645:14, 722:9,  752:18, 759:8,  781:21, 783:12,  850:18  <b>understood</b> [4] -  651:21, 672:7,  730:13, 835:7  <b>Understood</b> [1] -  786:5  <b>undertaken</b> [1] -  649:14  <b>undertaking</b> [1] -  644:22  <b>underway</b> [1] -  823:24  <b>unforeseen</b> [1] -</p>	<p>715:11  <b>unfortunately</b> [1] -  710:12  <b>Unitil</b> [53] - 641:8,  642:8, 642:9, 642:23,  643:2, 643:22,  643:24, 644:6,  645:16, 659:21,  659:23, 660:1,  661:14, 663:8,  663:15, 664:6,  664:17, 664:21,  670:20, 674:8, 687:9,  687:18, 687:19,  688:23, 691:7,  697:24, 723:12,  733:19, 762:17,  777:20, 782:3,  790:20, 791:13,  791:21, 796:24,  797:4, 799:10, 803:8,  805:1, 807:19, 810:1,  822:17, 823:3, 824:9,  826:20, 828:15,  830:17, 836:24,  837:1, 838:14,  841:18, 841:20, 846:7  <b>Unitil's</b> [6] - 787:17,  790:21, 820:16,  822:24, 823:9, 841:14  <b>Unitil-marked</b> [1] -  659:21  <b>Unless</b> [1] - 745:22  <b>unlike</b> [1] - 753:6  <b>unpredictable</b> [1] -  792:11  <b>unquote</b> [1] - 750:19  <b>unquote,"inside</b> [1]  - 663:9  <b>unquote,"inside-</b>  <b>bucket</b> [1] - 663:9  <b>unseat</b> [1] - 795:9  <b>until</b> [10] - 689:12,  699:8, 700:7, 701:18,  701:21, 766:16,  768:5, 805:4, 840:23,  843:6  <b>unusual</b> [2] - 727:10,  800:10  <b>up</b> [107] - 652:1,  656:14, 658:12,  660:3, 661:8, 667:11,  667:15, 667:18,  669:21, 670:24,  671:4, 674:6, 674:13,  675:19, 678:12,  681:1, 681:20,</p>	<p>682:16, 684:6,  684:10, 684:23,  685:9, 688:18, 693:5,  693:24, 694:22,  695:1, 695:8, 695:21,  695:23, 696:8,  696:16, 705:22,  707:12, 708:13,  710:2, 710:7, 711:3,  711:11, 713:18,  713:20, 714:21,  717:10, 717:11,  717:19, 719:9,  719:10, 719:17,  722:6, 724:6, 724:12,  725:13, 725:19,  727:3, 727:8, 729:5,  734:2, 739:18, 745:4,  746:22, 748:1,  750:19, 751:16,  751:20, 751:23,  752:7, 752:8, 754:10,  757:19, 757:23,  759:11, 766:16,  766:17, 766:19,  766:23, 791:13,  796:22, 798:3, 798:5,  798:10, 800:8, 801:1,  803:1, 803:15,  813:21, 821:8, 821:9,  824:4, 824:17,  824:22, 825:17,  825:22, 828:3,  830:10, 833:9,  835:24, 838:20,  842:11, 844:2,  844:18, 846:22,  849:6, 849:10,  849:18, 849:20, 854:6  <b>up-to-date</b> [1] -  724:12  <b>updates</b> [1] - 682:10  <b>upon</b> [12] - 651:16,  671:13, 750:7,  751:24, 757:17,  760:11, 783:15,  791:8, 803:4, 807:24,  814:1, 815:2  <b>upped</b> [1] - 691:14  <b>uprooted</b> [1] - 691:2  <b>upset</b> [2] - 758:9,  803:17  <b>us</b> [36] - 643:9,  643:16, 645:5,  645:10, 658:1, 660:4,  679:10, 682:11,  682:21, 696:21,  702:10, 702:11,</p>
---	--	--	---	---

705:15, 705:24, 706:21, 709:15, 720:20, 721:24, 723:13, 724:19, 725:9, 726:18, 726:23, 726:24, 732:22, 736:12, 737:6, 751:18, 756:1, 795:22, 799:19, 815:1, 822:12, 829:10, 836:23 <b>usage</b> [29] - 750:9, 752:8, 756:7, 756:14, 756:19, 757:15, 757:19, 757:23, 760:10, 763:19, 763:21, 764:8, 765:1, 767:19, 768:9, 781:7, 781:9, 799:11, 799:12, 799:24, 800:16, 800:17, 800:19, 801:3, 801:6, 801:21, 802:12 <b>use</b> [17] - 659:21, 667:8, 677:1, 684:3, 689:23, 706:20, 712:20, 713:2, 713:4, 741:22, 752:19, 767:23, 768:9, 788:23, 789:11, 796:4, 824:6 <b>used</b> [16] - 674:22, 676:12, 676:18, 708:2, 708:6, 716:13, 719:1, 725:22, 753:23, 756:3, 756:15, 799:2, 809:9, 810:24, 829:4, 851:3 <b>useful</b> [4] - 666:20, 724:12, 730:16, 744:1 <b>using</b> [13] - 676:2, 677:8, 677:13, 677:23, 708:4, 710:11, 712:22, 713:4, 727:16, 728:13, 802:7, 808:16 <b>usually</b> [1] - 713:18 <b>UTILITIES</b> [1] - 640:3 <b>utilities</b> [4] - 698:18, 698:20, 833:7, 851:18 <b>Utilities</b> [6] - 640:5, 642:6, 705:18, 790:3, 790:14, 790:17 <b>utility</b> [5] - 643:7, 698:21, 743:18, 841:2, 841:9 <b>utilization</b> [1] - 671:8 <b>utilized</b> [2] - 706:12,	716:16 <b>utilizes</b> [1] - 679:21  <b>V</b>  <b>vacation</b> [1] - 840:6 <b>valid</b> [1] - 679:14 <b>valuable</b> [5] - 674:16, 679:23, 827:14, 828:7, 829:9 <b>value</b> [1] - 745:22 <b>values</b> [2] - 789:14, 789:15 <b>Vanhillo</b> [17] - 649:6, 653:5, 653:7, 653:8, 654:21, 655:8, 655:22, 656:4, 721:12, 721:17, 721:21, 721:23, 723:10, 727:8, 731:15, 732:21, 733:23 <b>Vanhillo's</b> [2] - 723:6, 731:11 <b>vans</b> [1] - 659:24 <b>variations</b> [1] - 791:16 <b>various</b> [5] - 680:4, 686:6, 725:18, 734:20, 744:24 <b>vehicles</b> [5] - 660:2, 660:6, 664:16, 664:17, 678:10 <b>vendor</b> [16] - 676:12, 676:19, 676:23, 677:4, 677:6, 677:8, 677:13, 677:23, 679:3, 680:1, 761:23, 791:6, 792:3, 795:7, 795:8, 795:16 <b>vendors</b> [5] - 676:3, 676:10, 676:16, 792:7, 794:22 <b>verbally</b> [1] - 801:10 <b>verify</b> [5] - 653:9, 653:10, 655:21, 655:24, 809:2 <b>version</b> [4] - 852:13, 852:15, 853:13, 853:15 <b>versus</b> [4] - 720:2, 726:14, 775:10, 803:10 <b>very</b> [45] - 656:15, 656:16, 660:4, 694:16, 694:21, 694:23, 699:9, 714:6, 714:9, 714:19, 731:5,	737:17, 740:10, 742:1, 744:9, 753:5, 756:4, 756:12, 757:18, 758:20, 758:24, 759:1, 765:12, 768:12, 768:13, 773:19, 777:8, 785:11, 789:8, 792:10, 799:22, 799:23, 800:7, 807:4, 809:10, 824:3, 825:4, 828:7, 828:16, 836:18, 838:24, 839:10, 844:5, 850:24 <b>vice</b> [3] - 644:2, 644:3, 810:8 <b>vice-president</b> [2] - 644:2, 810:8 <b>view</b> [2] - 824:5, 851:24 <b>virtually</b> [1] - 842:15 <b>visit</b> [1] - 722:22 <b>visited</b> [1] - 798:20 <b>visits</b> [1] - 734:18 <b>visual</b> [1] - 739:21 <b>visuals</b> [1] - 694:14 <b>vitae</b> [1] - 832:8 <b>voiced</b> [1] - 838:9 <b>voicemail</b> [1] - 738:20 <b>voltage</b> [2] - 646:5, 647:6 <b>volts</b> [3] - 646:6, 647:7 <b>VOLUME</b> [1] - 640:1 <b>Volume</b> [6] - 670:12, 676:7, 729:13, 777:18, 778:16 <b>volume</b> [3] - 789:21, 789:22, 792:9  <b>W</b>  <b>W</b> [1] - 643:4 <b>wait</b> [4] - 662:11, 714:1, 738:8, 755:24 <b>waiting</b> [1] - 667:17 <b>walk</b> [2] - 647:21, 797:6 <b>walk-in</b> [1] - 797:6 <b>walking</b> [1] - 798:1 <b>want</b> [29] - 651:1, 651:2, 665:9, 695:17, 699:8, 706:7, 708:13, 718:11, 720:11, 724:7, 724:8, 726:23, 742:8, 743:6, 753:1,	753:22, 758:13, 769:2, 770:10, 774:7, 799:6, 804:3, 808:5, 808:6, 813:2, 816:12, 817:16, 824:24, 854:14 <b>wanted</b> [23] - 665:13, 702:24, 703:6, 708:15, 723:8, 726:15, 729:2, 744:20, 745:9, 745:10, 754:10, 769:8, 773:10, 775:18, 802:10, 804:17, 824:19, 825:17, 843:20, 846:16, 849:14, 854:12, 854:16 <b>wants</b> [1] - 768:16 <b>warnings</b> [1] - 813:22 <b>Was</b> [12] - 652:22, 679:3, 691:16, 731:2, 747:4, 747:5, 760:13, 794:4, 796:5, 811:7, 832:18, 842:17 <b>was</b> [553] - 648:6, 648:11, 648:12, 648:14, 648:23, 649:3, 649:5, 649:8, 649:11, 651:1, 651:4, 651:5, 652:19, 653:5, 654:10, 655:1, 656:13, 656:19, 656:20, 657:4, 658:13, 658:22, 660:15, 662:4, 664:5, 664:8, 664:9, 664:11, 665:4, 666:20, 668:10, 669:16, 670:7, 670:12, 670:17, 671:15, 671:17, 671:24, 672:5, 672:14, 672:21, 673:12, 673:15, 675:18, 677:15, 677:16, 677:17, 677:24, 678:5, 680:8, 680:12, 680:16, 680:23, 681:14, 682:5, 682:11, 683:8, 683:11, 684:6, 684:7, 684:12, 684:19, 685:2, 685:12, 685:13, 688:16, 688:17, 689:4, 689:5, 689:8, 690:2, 690:11,	690:12, 691:7, 691:22, 693:19, 694:7, 695:15, 695:22, 696:12, 696:17, 696:18, 696:21, 696:22, 697:8, 697:10, 697:12, 697:13, 697:16, 697:18, 697:21, 698:2, 698:11, 698:12, 698:14, 698:19, 698:21, 698:22, 699:6, 700:5, 700:10, 700:11, 700:16, 700:21, 700:23, 701:8, 701:18, 701:24, 702:3, 702:6, 702:15, 702:17, 702:18, 703:10, 703:12, 703:21, 704:2, 704:4, 704:10, 704:11, 704:12, 704:14, 704:16, 704:17, 704:18, 705:5, 705:6, 705:17, 705:24, 706:5, 706:6, 706:16, 706:23, 707:2, 707:3, 707:18, 707:21, 708:1, 708:18, 708:24, 709:2, 709:19, 709:20, 709:22, 710:11, 710:12, 712:3, 712:11, 713:17, 713:19, 713:24, 714:6, 714:7, 715:14, 715:18, 715:20, 715:21, 715:22, 716:4, 716:8, 716:24, 717:7, 717:15, 717:17, 717:19, 718:7, 720:3, 720:5, 720:7, 720:8, 721:9, 721:12, 721:17, 721:21, 722:2, 722:24, 723:2, 724:6, 724:9, 725:18, 727:9, 727:11, 728:10, 728:16, 728:22, 729:1, 729:10, 730:7, 730:10, 730:14, 730:18, 730:22, 730:24, 731:4, 731:11, 731:15, 732:5, 733:8, 733:19, 733:20, 733:21,
--	--	---	---	---

734:6, 734:12, 734:23, 734:24, 735:12, 735:14, 735:24, 736:2, 736:17, 736:18, 737:1, 737:4, 737:11, 739:4, 739:12, 739:23, 739:24, 740:1, 740:10, 741:3, 741:4, 742:22, 743:3, 743:7, 743:12, 744:19, 745:4, 745:5, 745:7, 745:9, 745:11, 745:15, 745:18, 745:21, 746:5, 746:10, 746:13, 746:20, 747:2, 747:3, 747:6, 747:19, 749:3, 750:17, 750:20, 750:21, 750:22, 750:24, 751:11, 752:1, 752:2, 755:6, 755:15, 755:16, 755:17, 755:23, 755:24, 756:1, 756:3, 756:5, 756:8, 756:19, 757:2, 757:10, 757:14, 757:19, 757:21, 757:23, 758:1, 758:10, 758:20, 759:6, 759:7, 759:22, 760:8, 760:14, 760:16, 761:10, 761:13, 761:15, 762:13, 763:19, 763:21, 763:22, 763:23, 764:2, 765:3, 766:7, 766:8, 766:10, 766:16, 766:18, 766:21, 766:22, 766:23, 767:3, 767:8, 767:9, 767:19, 767:22, 768:3, 768:7, 768:14, 769:9, 771:2, 771:12, 771:21, 772:5, 773:12, 774:21, 774:22, 775:5, 775:11, 775:19, 776:10, 776:15, 776:16, 776:22, 777:8, 777:12, 777:13, 777:22, 778:9, 778:19, 778:20, 778:24, 779:3, 779:10, 780:21, 780:24, 781:1, 781:2,	781:6, 781:15, 781:17, 782:11, 783:11, 783:12, 783:16, 783:17, 783:18, 784:3, 784:11, 784:14, 785:5, 785:8, 785:15, 785:17, 785:19, 792:1, 793:12, 793:13, 793:15, 793:19, 793:21, 794:9, 794:12, 794:13, 794:14, 794:17, 794:21, 795:6, 795:7, 795:12, 795:23, 796:12, 796:21, 797:4, 797:12, 798:8, 798:9, 798:10, 798:14, 798:19, 798:24, 799:1, 800:12, 800:19, 801:2, 801:15, 802:6, 802:7, 802:12, 802:15, 802:17, 802:22, 802:23, 803:2, 805:3, 805:8, 805:16, 805:19, 805:23, 806:1, 807:5, 808:5, 808:15, 808:18, 809:2, 809:17, 810:3, 810:6, 810:7, 810:8, 811:10, 812:1, 812:2, 812:3, 812:8, 812:10, 812:16, 812:18, 813:4, 814:14, 814:18, 814:23, 815:1, 815:5, 815:24, 816:13, 818:18, 821:1, 821:14, 821:16, 822:13, 822:24, 823:1, 823:6, 823:10, 823:13, 823:15, 823:18, 823:19, 823:24, 824:3, 824:12, 824:17, 824:19, 824:22, 824:24, 825:3, 825:7, 825:8, 825:10, 825:12, 825:13, 825:18, 827:15, 827:17, 827:19, 828:1, 829:9, 829:12, 829:13, 829:22, 830:5, 830:10, 832:9, 832:13, 832:14, 832:16, 832:17,	832:20, 832:22, 832:24, 833:12, 833:15, 833:21, 834:3, 834:7, 834:8, 834:15, 834:22, 835:14, 836:1, 836:13, 836:21, 837:16, 838:17, 838:22, 839:10, 839:16, 839:17, 839:19, 840:2, 840:23, 841:6, 841:13, 841:18, 841:21, 841:22, 842:2, 842:5, 842:6, 842:11, 843:7, 843:11, 843:13, 843:21, 843:24, 844:3, 844:4, 844:17, 844:18, 844:22, 845:7, 845:11, 845:21, 846:1, 846:9, 846:13, 846:17, 849:13, 849:14, 849:18, 850:15, 852:24, 853:6, 853:7, 853:19 <b>wasn't</b> <sup>[17]</sup> - 667:1, 696:1, 700:6, 701:12, 701:18, 701:21, 702:22, 713:19, 716:6, 727:11, 745:14, 757:24, 808:23, 834:11, 839:15, 840:2, 840:18 <b>way</b> <sup>[34]</sup> - 679:10, 679:15, 679:18, 684:16, 698:10, 702:22, 712:13, 717:3, 719:17, 729:3, 738:5, 738:12, 739:4, 746:6, 747:19, 749:8, 752:4, 752:14, 755:10, 758:24, 768:19, 776:24, 786:10, 794:10, 804:16, 815:16, 817:23, 831:23, 839:11, 839:12, 847:3, 847:9, 847:11, 850:8 <b>ways</b> <sup>[2]</sup> - 789:3, 789:4 <b>We</b> <sup>[111]</sup> - 644:12, 651:14, 653:16, 654:20, 655:23, 660:1, 660:5, 662:2, 662:6, 666:7, 666:22,	668:8, 669:23, 671:4, 672:9, 672:11, 672:23, 675:21, 675:22, 676:5, 676:14, 676:18, 677:1, 678:6, 678:7, 678:8, 682:11, 682:18, 683:2, 683:5, 685:19, 687:2, 687:5, 690:15, 691:6, 692:4, 692:16, 692:17, 692:18, 693:5, 693:16, 693:17, 695:16, 697:23, 698:9, 700:8, 705:10, 707:4, 707:5, 708:13, 708:15, 712:21, 712:22, 713:23, 714:1, 716:6, 716:7, 716:9, 720:11, 720:14, 721:4, 721:11, 726:7, 726:9, 727:12, 728:5, 728:6, 728:12, 732:11, 732:18, 732:23, 735:23, 736:9, 736:15, 737:17, 737:23, 740:7, 741:5, 744:5, 744:6, 744:7, 744:9, 744:10, 748:12, 748:13, 765:10, 776:11, 777:18, 778:3, 779:20, 779:21, 782:4, 790:16, 791:21, 794:14, 795:3, 801:10, 805:17, 808:8, 810:15, 813:15, 813:20, 815:11, 819:7, 824:24, 828:15, 830:2, 845:20, 852:17 <b>we</b> <sup>[400]</sup> - 643:8, 643:14, 645:3, 645:13, 645:14, 646:20, 647:14, 647:20, 647:21, 647:22, 647:23, 648:20, 650:22, 651:16, 653:10, 655:16, 655:23, 657:7, 658:3, 658:13, 660:20, 660:21, 661:23, 662:4, 662:7, 662:18, 665:10, 665:11, 666:8, 667:7, 667:11, 667:24,	668:2, 669:19, 670:14, 671:3, 671:4, 671:6, 671:7, 671:9, 672:24, 673:2, 673:10, 674:23, 675:3, 675:4, 675:5, 675:7, 675:10, 675:11, 675:14, 677:2, 677:18, 678:9, 678:11, 680:2, 680:3, 680:19, 681:9, 681:12, 681:24, 682:11, 682:19, 683:3, 683:4, 683:8, 683:9, 683:21, 683:23, 685:18, 685:21, 686:6, 686:16, 686:24, 687:7, 687:17, 690:13, 690:17, 690:18, 690:19, 690:20, 690:22, 690:23, 691:4, 691:5, 691:24, 692:5, 693:5, 693:6, 693:9, 693:15, 693:16, 694:2, 694:5, 694:13, 694:14, 694:20, 694:21, 694:22, 694:24, 695:1, 695:7, 695:8, 695:15, 695:16, 695:18, 695:20, 695:23, 696:1, 696:3, 696:14, 696:19, 696:24, 698:8, 698:11, 698:13, 698:14, 698:16, 699:24, 701:7, 701:8, 701:9, 701:24, 702:1, 702:18, 702:19, 702:20, 702:21, 703:3, 703:6, 703:10, 704:14, 704:18, 705:23, 706:24, 707:6, 707:14, 707:22, 707:23, 708:12, 708:13, 709:1, 709:14, 709:15, 709:23, 710:10, 710:11, 710:13, 710:16, 710:19, 710:23, 711:2, 711:13, 711:15, 711:16, 712:5, 712:21, 713:2, 713:20, 714:3, 714:4, 714:17, 715:4, 715:6, 716:5, 716:9, 716:12,
---	--	--	---	---



716:13, 716:15,  
716:16, 719:2, 719:7,  
720:9, 720:10,  
720:13, 720:16,  
720:18, 722:12,  
722:21, 723:24,  
724:23, 724:24,  
725:12, 726:1, 726:7,  
726:24, 727:1, 727:2,  
727:5, 727:9, 727:16,  
727:20, 727:24,  
728:14, 728:16,  
728:21, 728:23,  
729:14, 729:16,  
730:19, 731:6, 731:7,  
732:7, 732:8, 732:9,  
732:10, 732:23,  
733:5, 733:7, 734:13,  
735:18, 735:19,  
735:21, 736:3, 736:6,  
736:7, 736:13,  
736:21, 737:20,  
737:21, 737:23,  
737:24, 739:1,  
739:15, 739:16,  
739:24, 740:1,  
740:22, 741:6,  
741:14, 742:4, 743:5,  
743:17, 744:4, 744:6,  
744:13, 744:16,  
744:17, 746:2, 746:8,  
746:9, 746:10,  
746:11, 746:14,  
746:16, 746:20,  
747:10, 747:24,  
752:2, 753:1, 753:16,  
753:22, 754:18,  
754:20, 754:24,  
755:15, 755:16,  
755:17, 755:20,  
758:3, 759:23,  
759:24, 760:2, 760:5,  
760:8, 760:11,  
760:17, 760:18,  
760:21, 761:6,  
761:12, 762:9,  
762:21, 763:12,  
763:17, 765:5,  
766:20, 767:23,  
768:7, 768:9, 769:1,  
769:2, 769:21,  
770:19, 770:22,  
771:11, 772:8, 773:1,  
773:10, 776:18,  
777:7, 777:15,  
777:21, 777:24,  
778:6, 779:17,  
783:17, 783:20,

784:1, 786:3, 788:22,  
789:11, 789:13,  
790:6, 790:18, 791:5,  
792:4, 792:6, 792:14,  
792:16, 793:2,  
793:15, 793:23,  
794:10, 794:12,  
794:16, 794:22,  
795:4, 795:6, 795:12,  
795:14, 796:15,  
796:22, 797:1, 797:6,  
797:7, 797:8, 798:19,  
798:23, 799:18,  
800:4, 803:2, 803:3,  
805:18, 805:20,  
806:8, 806:15,  
807:13, 808:1, 808:7,  
808:16, 808:18,  
808:19, 808:22,  
812:9, 813:20,  
814:17, 814:21,  
815:7, 815:8, 815:10,  
815:12, 817:16,  
817:18, 818:9,  
818:10, 818:19,  
819:8, 825:1, 825:3,  
826:10, 847:2,  
851:17, 853:21,  
854:9, 855:4  
**We'd** [1] - 650:19  
**We'll** [6] - 645:13,  
725:6, 747:23,  
769:18, 793:23, 854:6  
**we'll** [8] - 645:15,  
658:12, 687:20,  
748:3, 769:19,  
773:13, 784:7, 796:3  
**we're** [19] - 661:8,  
665:16, 674:17,  
675:8, 681:17, 687:1,  
693:8, 693:9, 706:15,  
727:4, 734:3, 768:22,  
768:23, 775:2,  
775:13, 787:22,  
789:19, 819:5, 827:2  
**We're** [19] - 642:24,  
661:8, 661:11, 682:6,  
724:3, 743:4, 743:11,  
744:5, 744:8, 744:11,  
744:12, 747:22,  
748:7, 748:9, 795:24,  
813:3, 854:4  
**we've** [9] - 667:5,  
681:7, 681:8, 713:7,  
721:17, 737:8,  
765:11, 774:2, 790:2  
**We've** [2] - 748:23,  
788:6

**weather** [5] - 706:7,  
822:4, 845:12,  
845:13, 845:22  
**Web** [2] - 798:5,  
798:7  
**Wednesday** [2] -  
720:1, 735:18  
**Wednesday-**  
**Thursday** [1] - 735:18  
**week** [19] - 700:7,  
711:10, 715:2,  
733:24, 735:6,  
735:17, 737:22,  
739:16, 739:18,  
739:19, 740:4,  
744:23, 746:1,  
746:19, 798:21,  
817:3, 819:3, 821:14,  
825:6  
**weekend** [6] -  
708:24, 709:3, 714:3,  
739:19, 740:4, 822:3  
**weekends** [1] - 752:5  
**weeks** [5] - 719:5,  
719:19, 745:10,  
824:14, 825:6  
**weighing** [1] - 756:8  
**welcome** [1] - 744:21  
**well** [32] - 648:18,  
664:9, 671:16,  
671:18, 678:17,  
679:18, 684:24,  
697:14, 705:20,  
706:21, 724:6,  
725:23, 728:20,  
737:1, 740:6, 744:21,  
756:9, 756:11, 759:5,  
761:12, 763:24,  
791:11, 792:23,  
801:19, 803:8,  
826:18, 829:23,  
833:11, 834:9, 836:1,  
837:18, 839:24  
**Well** [10] - 650:9,  
673:10, 694:20,  
723:15, 743:9, 755:9,  
771:23, 774:11,  
834:20, 845:21  
**well-maintained** [1] -  
679:18  
**well-mapped** [1] -  
728:20  
**went** [28] - 693:2,  
695:24, 710:13,  
711:10, 711:16,  
718:21, 719:7,  
722:17, 740:5,

746:24, 747:8,  
758:24, 764:15,  
766:3, 766:11,  
766:14, 773:1,  
774:14, 780:22,  
793:2, 797:24, 799:5,  
802:22, 806:7,  
837:16, 839:8, 844:8,  
848:16  
**Were** [7] - 713:8,  
734:8, 796:8, 797:19,  
806:24, 810:1, 812:14  
**were** [362] - 644:22,  
645:6, 649:14,  
649:21, 649:24,  
650:13, 650:20,  
650:23, 657:9, 658:8,  
659:1, 659:3, 660:8,  
661:3, 661:15,  
661:24, 662:1,  
662:19, 663:3, 663:8,  
663:9, 663:11,  
663:20, 663:22,  
664:4, 664:23,  
665:10, 665:12,  
665:17, 665:19,  
665:21, 665:23,  
665:24, 666:16,  
667:10, 667:12,  
669:2, 669:13,  
669:20, 670:2,  
670:24, 671:3, 671:4,  
671:10, 672:22,  
675:15, 675:16,  
678:8, 680:18,  
680:19, 682:10,  
682:12, 682:18,  
683:2, 683:3, 683:5,  
683:8, 683:12,  
683:15, 683:16,  
683:19, 683:21,  
683:23, 684:20,  
684:22, 684:24,  
685:6, 689:7, 690:6,  
690:9, 690:10,  
690:15, 690:19,  
691:1, 691:2, 692:5,  
692:19, 692:20,  
693:15, 693:16,  
693:22, 694:21,  
694:24, 695:15,  
695:18, 695:20,  
696:2, 696:8, 696:13,  
696:19, 697:5,  
697:14, 697:24,  
698:4, 698:9, 698:10,  
698:18, 698:21,  
699:6, 699:12,

700:11, 702:1,  
702:12, 702:21,  
703:11, 703:14,  
704:2, 704:7, 704:8,  
704:9, 704:14,  
704:17, 704:18,  
705:2, 705:14,  
707:11, 708:4,  
710:11, 711:18,  
712:3, 712:12,  
712:16, 712:21,  
712:22, 713:4,  
713:20, 713:22,  
714:4, 714:7, 714:9,  
714:17, 714:23,  
715:8, 716:9, 717:17,  
717:24, 718:4, 718:7,  
718:9, 719:2, 720:9,  
720:13, 720:14,  
720:16, 721:1, 721:6,  
721:10, 721:23,  
722:14, 723:13,  
723:19, 726:7, 726:9,  
727:7, 727:12,  
727:13, 727:14,  
728:6, 728:14,  
728:15, 729:1,  
730:14, 732:7, 732:8,  
732:10, 732:11,  
732:15, 732:20,  
732:24, 733:4, 733:5,  
734:10, 734:16,  
734:17, 735:8, 735:9,  
735:16, 735:22,  
736:2, 736:4, 736:9,  
736:11, 736:12,  
737:6, 737:10,  
737:17, 737:19,  
738:6, 738:10,  
739:15, 739:23,  
739:24, 740:16,  
744:9, 744:10,  
744:16, 745:6,  
745:17, 746:2, 746:3,  
747:20, 751:16,  
751:20, 751:22,  
751:23, 754:18,  
754:20, 755:13,  
755:17, 755:18,  
755:19, 756:11,  
756:12, 756:20,  
757:8, 757:11,  
757:22, 757:24,  
758:6, 758:19,  
758:24, 759:1, 759:2,  
759:4, 763:17,  
764:24, 765:1, 765:2,  
766:14, 767:16,

768:9, 768:15,  
768:22, 769:10,  
770:2, 771:15,  
775:24, 776:6,  
776:11, 777:9,  
777:10, 778:8, 779:8,  
780:8, 781:4, 782:12,  
783:9, 783:17,  
785:24, 787:20,  
787:21, 790:15,  
790:16, 790:22,  
790:24, 791:5, 791:7,  
791:12, 791:16,  
792:13, 793:8, 793:9,  
793:10, 793:11,  
794:12, 794:14,  
794:20, 794:24,  
795:3, 796:18, 797:7,  
797:21, 798:4, 798:5,  
798:6, 798:20,  
799:19, 799:21,  
800:14, 800:18,  
800:20, 800:22,  
800:23, 801:5,  
802:13, 802:21,  
803:15, 805:17,  
805:24, 806:19,  
806:23, 806:24,  
807:2, 807:18,  
807:22, 809:13,  
810:13, 811:22,  
812:4, 812:9, 812:12,  
813:5, 813:7, 813:8,  
813:18, 813:23,  
815:7, 815:13, 816:6,  
816:12, 816:13,  
816:16, 816:17,  
817:2, 820:22, 821:1,  
823:11, 823:22,  
824:4, 824:14,  
824:20, 827:22,  
829:6, 829:11,  
829:12, 832:12,  
832:24, 833:9,  
833:24, 835:3, 837:3,  
838:8, 838:23,  
838:24, 839:1, 839:3,  
840:6, 840:7, 844:5,  
844:15, 845:5, 845:6,  
847:13, 849:15,  
849:21, 850:16,  
850:17, 851:5,  
851:17, 853:9, 855:10  
**weren't** [11] - 666:22,  
698:20, 699:7,  
702:20, 721:2,  
732:23, 738:10,  
805:23, 833:17,

833:24, 844:15  
**west** [1] - 646:24  
**West** [3] - 641:9,  
647:19, 688:24  
**Western** [2] - 836:12,  
836:17  
**Westminster** [1] -  
772:12  
**what** [178] - 644:21,  
644:22, 651:21,  
657:4, 658:7, 659:20,  
663:14, 669:16,  
671:6, 671:8, 672:5,  
677:4, 678:13,  
680:18, 681:10,  
681:17, 682:10,  
682:23, 683:8,  
683:19, 684:2,  
684:13, 684:18,  
684:20, 684:21,  
689:2, 689:24, 690:8,  
692:7, 692:12,  
692:24, 693:4, 694:4,  
696:6, 696:17,  
697:19, 698:5, 698:6,  
699:11, 700:3,  
701:15, 702:11,  
703:19, 703:21,  
704:6, 704:11,  
704:13, 707:11,  
707:15, 707:19,  
710:9, 712:7, 712:24,  
713:2, 713:12,  
718:11, 718:12,  
718:24, 719:8,  
719:16, 720:2, 720:3,  
720:5, 720:8, 720:13,  
721:4, 723:2, 724:15,  
725:3, 725:13,  
726:11, 727:21,  
728:14, 728:24,  
732:5, 733:7, 734:23,  
735:15, 739:1, 741:4,  
742:21, 742:23,  
743:3, 743:14,  
744:15, 745:20,  
745:23, 751:12,  
751:13, 752:13,  
754:8, 754:20,  
755:15, 755:17,  
759:22, 760:11,  
760:17, 761:2,  
762:21, 762:24,  
766:10, 769:15,  
770:14, 771:24,  
775:5, 775:18, 778:6,  
780:10, 781:14,  
781:17, 783:1, 785:9,

788:3, 789:11,  
792:14, 793:11,  
793:12, 793:19,  
795:14, 795:17,  
796:22, 798:13,  
800:4, 800:6, 801:14,  
805:7, 805:16, 807:3,  
807:13, 807:21,  
808:12, 808:18,  
809:2, 809:3, 809:6,  
810:7, 813:10,  
816:12, 817:18,  
819:4, 822:12,  
823:12, 823:22,  
824:16, 824:17,  
824:18, 824:19,  
825:1, 826:10,  
826:15, 826:22,  
829:11, 831:1,  
831:13, 831:19,  
831:20, 832:3,  
832:16, 833:4, 835:7,  
835:13, 835:14,  
838:8, 840:6, 840:15,  
841:6, 842:8, 845:1,  
845:17, 846:16,  
846:20, 846:23,  
848:22, 849:1,  
851:16, 852:5  
**What** [32] - 648:1,  
655:18, 678:18,  
683:16, 689:22,  
691:16, 708:1, 708:4,  
708:18, 713:13,  
713:14, 727:8,  
731:14, 734:2, 734:6,  
739:1, 743:11, 744:2,  
744:3, 747:4, 756:22,  
761:24, 776:22,  
780:13, 794:2,  
816:16, 825:3,  
829:22, 836:12,  
837:12, 843:22  
**What's** [1] - 738:24  
**what's** [12] - 661:6,  
666:18, 718:19,  
722:4, 722:9, 769:24,  
774:5, 774:8, 775:22,  
780:13, 840:12,  
850:13  
**whatever** [7] -  
661:14, 706:18,  
736:16, 749:19,  
750:16, 825:17,  
844:15  
**When** [24] - 652:7,  
655:13, 661:9,  
662:13, 668:12,

672:13, 695:3, 695:7,  
696:6, 703:23,  
712:16, 715:4,  
729:12, 734:13,  
735:9, 736:6, 736:19,  
746:11, 753:20,  
805:14, 805:15,  
810:13, 843:17, 851:2  
**when** [91] - 653:4,  
655:9, 661:7, 661:22,  
669:4, 672:5, 673:23,  
677:18, 677:24,  
680:16, 685:9, 689:5,  
692:9, 692:23, 695:5,  
698:19, 699:12,  
700:23, 701:1,  
702:12, 702:14,  
702:18, 702:20,  
703:10, 706:16,  
707:11, 707:17,  
707:22, 708:7, 711:8,  
713:17, 715:6,  
716:14, 718:8,  
722:17, 723:18,  
723:19, 725:18,  
726:1, 730:6, 738:9,  
739:16, 740:8,  
740:19, 740:21,  
741:16, 741:18,  
741:20, 742:1, 742:8,  
746:13, 746:16,  
746:23, 749:16,  
751:5, 751:21, 752:1,  
753:16, 756:14,  
756:18, 757:6, 764:7,  
768:21, 785:24,  
791:12, 792:8,  
792:10, 794:13,  
797:23, 798:12,  
800:11, 800:15,  
801:7, 805:4, 805:9,  
806:2, 809:1, 813:16,  
814:6, 814:18,  
815:24, 816:1,  
818:21, 837:15,  
838:17, 843:14,  
844:21, 849:18  
**Where** [1] - 810:4  
**where** [53] - 645:6,  
647:23, 648:14,  
658:21, 666:15,  
671:10, 671:20,  
674:15, 674:21,  
675:10, 675:11,  
680:17, 683:3, 683:7,  
683:17, 684:18,  
688:15, 694:4, 698:9,  
701:7, 711:15,

716:19, 717:16,  
718:2, 727:16,  
732:10, 736:3,  
745:15, 748:22,  
750:3, 750:7, 752:2,  
752:10, 753:7,  
753:17, 754:13,  
767:19, 772:8,  
773:10, 785:3, 785:4,  
792:4, 796:18, 797:3,  
799:24, 800:7,  
800:15, 802:21,  
807:17, 812:20,  
830:7, 848:12  
**Whereas** [1] - 728:22  
**whereas** [1] - 752:20  
**whether** [21] -  
655:22, 663:17,  
664:5, 675:12, 700:3,  
703:1, 722:21, 724:9,  
736:16, 742:21,  
742:22, 745:9,  
764:13, 765:15,  
787:20, 815:4,  
816:23, 817:16,  
817:24, 825:22,  
852:12  
**Which** [3] - 681:17,  
684:17, 738:8  
**which** [49] - 645:24,  
648:2, 651:17,  
658:16, 663:9, 668:5,  
674:8, 687:8, 699:10,  
704:18, 706:14,  
711:21, 714:19,  
719:14, 720:18,  
725:13, 727:9, 734:5,  
737:23, 740:22,  
749:8, 751:15, 752:3,  
754:9, 755:14, 771:1,  
780:15, 784:4,  
789:10, 789:16,  
790:23, 793:24,  
797:11, 798:24,  
801:23, 806:19,  
809:1, 812:22, 815:1,  
815:8, 816:13,  
816:17, 821:22,  
825:3, 830:9, 832:8,  
832:24, 833:3, 853:3  
**While** [3] - 659:6,  
761:17, 818:10  
**while** [3] - 659:12,  
825:1, 832:12  
**white** [1] - 852:15  
**who** [47] - 650:20,  
651:7, 652:19,  
660:15, 662:19,

663:21, 673:17,  
683:6, 723:18, 724:6,  
724:8, 727:4, 729:20,  
730:8, 730:13,  
730:17, 734:17,  
735:1, 735:3, 735:7,  
748:13, 748:15,  
757:7, 758:19,  
764:23, 765:15,  
767:20, 770:2,  
775:20, 776:6,  
776:23, 777:3, 777:4,  
777:10, 777:11,  
793:1, 798:4, 807:24,  
808:4, 809:16,  
812:10, 813:23,  
836:23, 837:21,  
839:18, 846:21,  
846:22  
**Who** [2] - 727:15,  
835:3  
**whoever** [2] - 674:7,  
696:20  
**whole** [3] - 697:11,  
697:12, 717:11  
**whom** [1] - 855:10  
**whose** [3] - 730:9,  
730:12, 730:23  
**why** [26] - 667:1,  
677:22, 679:5,  
696:20, 708:9,  
716:13, 720:18,  
737:12, 737:16,  
742:14, 756:22,  
757:4, 757:19,  
757:23, 759:17,  
764:15, 771:23,  
772:4, 772:14,  
784:14, 800:19,  
804:5, 804:11,  
804:22, 834:8  
**Why** [5] - 692:9,  
760:24, 762:9,  
810:19, 812:21  
**will** [41] - 643:7,  
643:9, 645:5, 648:17,  
656:7, 675:10, 722:9,  
725:17, 740:23,  
741:17, 742:1, 750:4,  
752:21, 753:9,  
763:20, 779:17,  
779:22, 782:14,  
783:20, 788:20,  
795:15, 795:19,  
796:1, 796:3, 801:13,  
802:8, 802:9, 815:11,  
817:12, 817:21,  
818:21, 826:13,

827:7, 827:10,  
848:11, 849:24,  
851:11, 854:9, 855:1,  
855:4  
**wind** [1] - 674:13  
**winter** [8] - 642:10,  
688:12, 689:2, 790:8,  
849:11, 849:17,  
849:23, 850:1  
**wire** [26] - 651:5,  
659:5, 660:24, 661:9,  
661:10, 662:6, 662:8,  
662:10, 678:15,  
678:21, 679:17,  
683:7, 693:2, 712:18,  
713:18, 713:19,  
713:20, 713:21,  
717:8, 717:10,  
717:13, 717:18,  
717:20, 718:3, 725:6,  
736:19  
**wire's** [1] - 661:13  
**wire-down** [6] -  
651:5, 660:24, 661:9,  
661:10, 662:10,  
736:19  
**wires** [21] - 645:3,  
645:9, 650:16,  
650:24, 659:8, 660:8,  
660:16, 660:19,  
661:3, 662:23,  
663:21, 666:16,  
672:2, 674:1, 683:17,  
685:4, 695:16,  
695:17, 710:1,  
724:20, 725:12  
**wires-down** [8] -  
650:16, 650:24,  
660:8, 660:16,  
660:19, 661:3,  
662:23, 663:21  
**with** [215] - 642:14,  
642:24, 644:12,  
648:1, 650:10,  
650:19, 650:24,  
651:8, 651:16, 653:9,  
653:22, 659:13,  
661:14, 664:10,  
666:13, 667:2, 667:6,  
667:8, 668:22,  
670:18, 673:9,  
673:21, 674:4,  
674:24, 675:4,  
676:15, 677:2, 677:5,  
682:5, 682:8, 686:19,  
690:8, 690:12,  
690:14, 690:15,  
691:8, 693:24, 696:4,

698:5, 698:17,  
698:18, 702:22,  
704:11, 704:17,  
705:24, 706:1,  
706:11, 706:21,  
708:9, 708:24, 710:7,  
710:18, 711:4,  
715:23, 717:2, 719:9,  
719:10, 719:18,  
720:20, 720:24,  
721:11, 721:24,  
724:19, 724:24,  
725:2, 726:4, 726:8,  
726:9, 727:12,  
727:18, 728:3, 728:7,  
730:21, 730:22,  
731:2, 732:2, 732:7,  
732:10, 732:17,  
733:16, 734:19,  
736:4, 736:8, 736:10,  
736:13, 737:2, 737:7,  
737:14, 737:17,  
738:7, 739:3, 739:21,  
740:21, 741:10,  
744:24, 749:5,  
749:24, 750:4,  
750:15, 751:14,  
752:4, 752:15,  
752:22, 754:11,  
758:19, 759:14,  
759:21, 760:6, 761:6,  
761:14, 762:7,  
764:16, 764:20,  
764:22, 767:13,  
768:17, 768:24,  
769:2, 769:3, 770:6,  
771:9, 772:19,  
772:20, 773:2, 776:6,  
780:19, 782:5,  
782:23, 783:8, 784:5,  
784:9, 786:3, 786:12,  
786:21, 789:6,  
790:13, 796:5, 796:6,  
797:9, 797:18,  
797:19, 798:1, 798:5,  
798:10, 799:5,  
800:23, 801:7, 801:8,  
801:14, 806:10,  
807:14, 808:18,  
809:23, 810:10,  
810:13, 810:22,  
811:13, 812:4,  
812:10, 812:20,  
813:22, 817:10,  
821:12, 822:8, 823:5,  
823:8, 825:5, 825:11,  
826:12, 826:19,  
826:20, 829:16,

829:17, 829:21,  
830:22, 832:23,  
833:3, 834:3, 836:6,  
837:1, 837:5, 837:6,  
837:10, 837:20,  
837:23, 837:24,  
838:1, 841:11,  
842:17, 843:1, 843:2,  
843:4, 843:6, 845:19,  
845:20, 845:21,  
846:7, 846:13,  
846:22, 848:2, 848:8,  
848:16, 849:1, 849:4,  
849:6, 849:10,  
849:19, 849:20,  
850:10, 851:18,  
853:23, 854:7, 854:17  
**With** [4] - 642:23,  
643:5, 657:6, 810:16  
**withdrew** [1] - 845:8  
**within** [17] - 646:9,  
646:13, 662:19,  
662:22, 663:8,  
663:10, 673:2, 674:8,  
676:2, 727:17,  
743:19, 776:13,  
795:20, 819:2,  
836:24, 838:2, 844:6  
**Within** [2] - 646:4,  
646:10  
**without** [7] - 657:9,  
670:3, 751:8, 755:8,  
767:21, 844:12,  
844:22  
**witness** [4] - 656:10,  
819:16, 828:12,  
839:15  
**WITNESS** [22] -  
656:12, 656:23,  
670:7, 670:12,  
671:20, 686:3, 686:9,  
686:14, 686:18,  
687:12, 765:18,  
765:21, 766:4,  
766:13, 767:1, 767:6,  
767:10, 768:3, 768:6,  
802:14, 802:20,  
819:19  
**witnesses** [4] -  
643:12, 748:8, 762:8,  
854:11  
**won't** [1] - 754:24  
**wondering** [4] -  
757:2, 804:10,  
804:11, 853:20  
**Wong** [1] - 839:10  
**word** [3] - 767:14,  
767:18, 786:9

**words** [2] - 705:1,  
822:5  
**work** [25] - 658:9,  
663:4, 665:6, 667:18,  
678:4, 682:20,  
682:22, 683:4,  
683:18, 683:23,  
684:14, 685:19,  
685:20, 685:21,  
693:10, 703:7,  
713:24, 715:5,  
715:12, 715:23,  
725:7, 752:15,  
768:17, 789:17, 810:4  
**worked** [9] - 736:13,  
739:5, 828:16,  
828:17, 829:16,  
829:17, 829:21,  
837:7, 837:19  
**workers** [3] - 714:7,  
714:8, 714:18  
**working** [32] -  
659:12, 663:12,  
663:16, 664:23,  
665:17, 665:19,  
665:21, 682:16,  
685:13, 690:19,  
691:6, 692:20,  
692:21, 704:2,  
708:20, 712:7,  
714:24, 715:8, 728:7,  
728:23, 743:5,  
743:11, 744:8,  
744:12, 792:16,  
798:5, 798:6, 799:13,  
812:3, 812:12,  
812:14, 844:3  
**Working** [3] - 714:3,  
714:5, 714:6  
**workpaper** [2] -  
782:6, 783:20  
**workpapers** [2] -  
781:22, 782:9  
**works** [2] - 801:23,  
829:14  
**workstation** [1] -  
736:7  
**worse** [1] - 846:19  
**worth** [1] - 731:13  
**would** [279] - 642:19,  
643:11, 644:24,  
647:13, 649:18,  
650:9, 650:11,  
651:15, 651:17,  
651:20, 652:17,  
653:1, 653:6, 653:8,  
655:16, 656:2,  
659:11, 659:13,

662:2, 662:7, 666:14, 667:9, 667:11, 668:2, 670:3, 671:6, 672:11, 672:19, 672:24, 673:2, 674:9, 674:13, 674:14, 674:21, 678:13, 678:14, 678:18, 678:20, 681:3, 681:9, 682:19, 684:15, 684:17, 685:17, 685:19, 688:3, 689:24, 690:20, 694:23, 695:1, 696:12, 699:3, 699:5, 701:6, 703:20, 706:18, 711:3, 711:11, 712:4, 713:12, 713:13, 714:21, 714:24, 715:5, 715:11, 716:16, 717:12, 717:14, 718:13, 718:24, 719:3, 719:19, 720:10, 720:12, 722:11, 722:18, 722:19, 722:21, 723:9, 723:21, 723:22, 723:24, 724:5, 724:6, 724:15, 728:12, 730:1, 730:2, 731:17, 731:18, 732:22, 733:21, 734:14, 735:7, 736:24, 737:9, 737:14, 738:8, 738:9, 738:15, 738:17, 738:20, 738:21, 739:2, 740:2, 740:8, 741:12, 741:18, 741:20, 741:21, 742:3, 742:23, 743:14, 743:15, 743:16, 744:2, 744:4, 746:15, 747:10, 747:13, 747:14, 747:20, 747:24, 749:23, 750:6, 750:7, 750:9, 750:22, 750:23, 751:1, 751:2, 751:17, 754:2, 754:4, 754:7, 754:8, 756:22, 756:24, 757:5, 760:10, 763:8, 765:1, 766:2, 766:4, 766:6, 767:17, 767:18, 767:21, 769:11, 769:13, 770:4, 770:16, 770:17,	771:7, 771:10, 772:11, 772:24, 773:1, 773:14, 776:5, 777:11, 780:15, 781:13, 782:2, 782:3, 782:4, 782:23, 783:3, 783:9, 783:22, 784:23, 785:2, 785:10, 785:12, 785:20, 785:21, 786:8, 786:16, 788:7, 789:2, 789:4, 789:5, 789:7, 789:8, 789:9, 789:10, 789:16, 789:17, 789:20, 789:22, 791:19, 792:2, 792:6, 792:7, 792:14, 792:15, 792:17, 792:20, 792:24, 794:18, 794:19, 795:21, 796:24, 798:2, 798:3, 798:7, 798:9, 799:16, 800:1, 800:8, 800:16, 800:17, 801:3, 801:4, 802:15, 802:18, 803:13, 803:18, 803:20, 803:22, 804:20, 804:23, 807:6, 807:8, 808:4, 808:7, 808:10, 808:22, 809:2, 809:3, 809:4, 809:7, 809:8, 810:19, 813:22, 814:2, 815:12, 817:10, 817:11, 818:11, 818:17, 818:19, 818:22, 819:1, 821:1, 821:18, 822:18, 823:21, 824:5, 827:8, 827:23, 831:1, 835:5, 835:13, 835:23, 837:10, 843:12, 844:7, 845:2, 846:2, 846:5, 846:7, 846:8, 846:12, 847:9, 848:16, 849:5, 849:12, 851:24 <b>Would</b> [14] - 643:15, 643:19, 650:23, 687:19, 763:24, 776:24, 779:6, 779:12, 786:6, 792:22, 809:5, 811:3, 819:15, 819:17 <b>wouldn't</b> [14] - 680:5, 701:13, 710:21, 755:9, 768:1, 768:4,	773:17, 781:16, 787:5, 788:24, 812:21, 827:1, 847:18, 847:23 <b>write</b> [4] - 652:1, 668:2, 751:18, 842:18 <b>writing</b> [2] - 780:11, 818:18 <b>written</b> [1] - 839:14 <b>Written</b> [1] - 684:13 <b>wrong</b> [3] - 697:4, 737:12, 758:24  <b>X</b>  <b>X</b> [2] - 720:11, 856:1  <b>Y</b>  <b>Y</b> [1] - 720:11 <b>Yardley</b> [16] - 658:4, 751:19, 819:20, 819:24, 820:5, 820:11, 822:9, 822:12, 822:16, 826:19, 828:24, 841:16, 853:5, 853:22, 854:5, 854:7 <b>YARDLEY</b> [2] - 819:21, 858:3 <b>Yardley's</b> [4] - 709:21, 791:4, 794:11, 828:14 <b>yeah</b> [1] - 839:6 <b>year</b> [12] - 756:10, 770:23, 771:8, 780:14, 781:4, 781:8, 782:10, 783:14, 784:12, 790:7, 795:15, 811:18 <b>year's</b> [1] - 763:19 <b>year-end</b> [2] - 782:10, 783:14 <b>year-round</b> [1] - 771:8 <b>years</b> [1] - 829:16 <b>yes</b> [17] - 669:11, 681:12, 702:10, 703:17, 716:14, 720:18, 734:9, 761:16, 767:2, 774:1, 778:24, 781:21, 800:5, 811:6, 812:15, 818:3, 834:7 <b>Yes</b> [82] - 643:14, 647:24, 648:5, 648:19, 649:1, 649:23, 650:5,	650:22, 651:4, 652:15, 652:24, 653:1, 653:7, 656:12, 657:19, 657:22, 658:20, 658:23, 659:12, 659:19, 659:24, 660:18, 660:20, 662:21, 664:18, 665:21, 666:4, 666:17, 668:20, 669:19, 681:16, 684:10, 691:12, 691:18, 691:21, 695:7, 699:4, 709:13, 709:19, 710:6, 711:1, 716:2, 718:17, 721:3, 742:3, 743:2, 744:2, 747:2, 749:10, 749:21, 750:3, 752:12, 753:1, 760:23, 762:9, 765:20, 769:15, 773:6, 775:17, 778:13, 778:18, 779:17, 788:4, 788:22, 793:15, 798:17, 801:16, 807:2, 809:15, 809:24, 817:21, 818:17, 822:11, 822:15, 829:4, 832:20, 833:5, 840:12, 842:15, 842:24, 852:14, 853:2 <b>yet</b> [5] - 650:8, 650:13, 737:7, 779:18, 808:12 <b>York</b> [2] - 835:20, 835:21 <b>You</b> [46] - 651:22, 674:12, 679:2, 692:11, 694:3, 694:24, 699:17, 702:5, 709:17, 710:20, 713:17, 716:8, 716:18, 716:19, 716:23, 717:5, 725:4, 726:4, 726:5, 738:24, 739:24, 758:23, 759:4, 762:1, 778:22, 795:22, 799:18, 808:19, 811:20, 826:6, 826:7, 830:24, 831:8, 833:8, 834:6, 836:22, 841:10, 841:16, 843:9, 844:17, 846:16,	847:1, 850:21, 851:10, 852:23, 853:16 <b>you</b> [507] - 643:10, 643:15, 643:19, 644:10, 644:11, 644:13, 644:24, 645:6, 645:7, 645:10, 645:13, 646:1, 646:7, 646:12, 649:24, 650:13, 650:23, 651:6, 651:7, 652:6, 652:7, 653:19, 653:21, 654:2, 655:9, 658:1, 658:15, 658:18, 658:21, 659:9, 660:3, 660:13, 660:14, 660:15, 660:19, 661:2, 661:9, 661:22, 663:6, 664:4, 665:10, 665:11, 665:14, 666:14, 666:15, 667:1, 667:2, 667:9, 667:15, 667:16, 667:18, 667:19, 668:12, 668:16, 668:22, 669:4, 669:17, 669:18, 669:21, 670:16, 671:20, 672:6, 672:7, 672:13, 672:15, 672:18, 673:9, 676:22, 676:24, 678:3, 678:4, 678:5, 678:12, 679:19, 680:4, 680:13, 681:1, 681:2, 681:4, 681:12, 681:22, 682:2, 682:21, 682:22, 682:24, 683:17, 684:2, 685:5, 685:8, 685:10, 686:1, 687:10, 688:3, 688:11, 688:12, 688:19, 689:2, 689:13, 689:23, 689:24, 691:13, 691:16, 691:22, 692:2, 692:7, 692:9, 692:12, 692:13, 693:9, 694:4, 694:15, 695:3, 695:4, 695:5, 695:10, 695:11, 696:3, 696:7, 696:8, 696:9, 696:10, 696:11, 696:23, 697:19, 698:17,
--	---	---	---	---

<p>698:18, 700:3, 700:4, 700:9, 701:1, 701:2, 701:4, 701:15, 702:6, 702:7, 702:8, 702:11, 702:24, 705:8, 707:15, 707:19, 708:3, 708:4, 708:19, 708:20, 709:6, 709:11, 710:4, 710:7, 710:17, 710:18, 710:21, 710:23, 711:2, 711:3, 711:5, 711:8, 711:9, 712:16, 712:17, 712:18, 712:20, 713:4, 713:9, 713:12, 713:17, 714:14, 714:21, 714:22, 714:24, 715:2, 715:10, 716:10, 716:12, 717:8, 717:9, 717:13, 718:1, 718:2, 718:12, 718:24, 719:2, 719:7, 719:14, 719:20, 719:24, 720:1, 720:2, 720:4, 720:11, 721:9, 721:15, 722:14, 722:22, 723:18, 725:15, 725:16, 725:18, 726:12, 727:7, 728:5, 729:1, 730:6, 731:9, 732:4, 733:1, 733:3, 733:7, 733:12, 733:14, 733:21, 734:8, 735:2, 737:4, 738:2, 738:3, 738:8, 738:9, 738:10, 738:24, 740:5, 740:14, 740:16, 740:17, 741:1, 741:2, 741:16, 741:17, 741:22, 741:23, 742:1, 742:2, 742:8, 742:10, 742:11, 742:13, 742:14, 742:15, 742:16, 742:17, 743:1, 743:11, 743:21, 744:2, 744:3, 744:4, 745:13, 745:22, 746:17, 746:23, 746:24, 747:18, 748:4, 749:12, 751:16, 752:14, 753:7, 753:8, 753:9, 753:17, 753:18, 753:23, 754:6, 754:12, 758:13,</p>	<p>759:7, 760:9, 760:24, 762:1, 763:12, 763:13, 763:20, 763:24, 764:2, 765:15, 768:2, 769:4, 769:6, 769:7, 769:8, 769:11, 769:17, 771:7, 774:9, 775:12, 776:20, 779:6, 779:12, 780:3, 780:10, 782:17, 784:10, 784:13, 784:20, 784:21, 784:22, 784:23, 785:2, 785:3, 785:4, 785:6, 785:13, 785:22, 787:11, 787:19, 788:3, 788:24, 789:20, 789:22, 791:14, 793:11, 793:12, 793:18, 793:24, 794:7, 794:18, 794:19, 794:20, 794:24, 797:4, 797:21, 798:13, 799:6, 800:1, 800:10, 800:15, 800:16, 800:17, 801:3, 802:15, 803:1, 803:9, 803:11, 804:15, 805:15, 805:16, 806:4, 806:13, 806:18, 806:20, 808:5, 808:6, 808:10, 808:16, 809:1, 809:18, 810:1, 810:4, 810:10, 810:13, 810:24, 811:3, 811:11, 811:13, 811:16, 811:22, 812:12, 812:14, 812:18, 812:24, 813:13, 813:16, 814:15, 814:18, 815:13, 815:23, 815:24, 817:2, 817:5, 817:6, 817:8, 817:15, 819:6, 819:14, 819:15, 819:17, 819:24, 820:5, 820:7, 820:18, 820:23, 821:4, 822:8, 822:9, 822:12, 824:16, 825:15, 825:22, 826:5, 826:21, 827:23, 828:1, 828:10, 828:11,</p>	<p>829:1, 829:6, 829:10, 831:9, 831:12, 831:18, 831:21, 832:3, 832:9, 833:2, 833:14, 833:17, 833:19, 833:23, 834:15, 834:18, 834:19, 835:16, 836:5, 836:9, 836:19, 836:22, 836:23, 837:8, 837:12, 838:1, 838:11, 839:5, 839:21, 840:9, 840:16, 841:2, 841:12, 842:3, 842:8, 842:13, 842:21, 843:1, 843:2, 843:3, 843:14, 843:22, 844:4, 844:14, 845:15, 846:10, 847:13, 847:15, 847:16, 848:1, 848:6, 848:8, 848:11, 848:16, 849:8, 849:9, 849:18, 850:10, 851:6, 851:14, 851:22, 852:1, 852:10, 852:12, 852:13, 852:21, 853:11, 854:18, 854:24, 855:2, 855:5  <b>You'd</b> <sup>[1]</sup> - 717:7  <b>you'd</b> <sup>[9]</sup> - 707:15, 710:18, 717:6, 718:14, 718:15, 740:20, 754:4, 783:2, 847:20  <b>you'll</b> <sup>[3]</sup> - 663:2, 788:15, 844:8  <b>You're</b> <sup>[7]</sup> - 694:3, 694:17, 694:18, 714:10, 714:12, 734:4, 853:14  <b>you're</b> <sup>[31]</sup> - 647:23, 665:8, 665:13, 666:13, 668:13, 669:5, 673:24, 681:6, 694:5, 699:1, 699:11, 701:20, 705:6, 709:7, 714:12, 714:13, 716:19, 719:8, 719:14, 721:1, 725:2, 742:12, 749:16, 764:7, 765:23, 766:1, 778:15, 784:2, 808:13, 830:16, 853:17  <b>You've</b> <sup>[2]</sup> - 802:4,</p>	<p>850:6  <b>you've</b> <sup>[11]</sup> - 694:4, 770:15, 771:6, 803:17, 826:2, 826:21, 826:22, 830:15, 833:22, 850:3  <b>your</b> <sup>[121]</sup> - 643:19, 643:20, 651:8, 652:22, 654:2, 654:3, 654:8, 658:2, 663:2, 664:2, 667:10, 667:12, 668:5, 669:4, 669:18, 671:11, 672:5, 678:4, 678:5, 679:19, 680:7, 681:5, 688:3, 688:4, 688:20, 693:20, 694:3, 695:3, 695:4, 695:6, 695:10, 700:4, 701:2, 701:15, 701:20, 702:6, 708:1, 708:18, 712:24, 714:20, 714:22, 715:2, 716:3, 717:2, 720:4, 727:7, 729:12, 733:14, 734:4, 736:24, 737:8, 739:14, 741:4, 741:22, 742:18, 743:3, 760:7, 762:1, 763:17, 763:18, 763:20, 766:5, 770:13, 777:6, 777:15, 778:16, 788:12, 789:24, 791:1, 792:20, 793:6, 793:11, 793:14, 794:1, 794:7, 794:8, 796:6, 798:22, 800:9, 801:14, 806:22, 808:11, 810:7, 813:4, 814:4, 814:8, 819:15, 819:17, 819:24, 820:22, 820:24, 821:5, 822:9, 822:10, 822:13, 826:19, 829:24, 830:12, 831:8, 831:10, 832:8, 836:9, 838:8, 840:8, 840:9, 841:11, 842:4, 842:17, 843:3, 843:4, 843:13, 848:19, 849:8, 849:18, 850:2, 850:18, 852:11  <b>Your</b> <sup>[1]</sup> - 812:18  <b>yours</b> <sup>[1]</sup> - 737:11  <b>yourself</b> <sup>[1]</sup> - 829:1</p>	<p><b>Z</b>  <b>Z</b> <sup>[1]</sup> - 720:11</p>
--	--	---	---	---